

1 New Brunswick Board of Commissioners of Public Utilities

2

3

4

5 In the Matter of an application by the NBP Distribution &

6 Customer Service Corporation (DISCO) for changes to its

7 Charges, Rates and Tolls

8

9

10 Delta Hotel, Saint John, N.B.

11 October 5th 2005

12

13

14

15

16

17

18

19

20

21

22

23

24

25

26

27

28

29

30

31

32

Henneberry Reporting Service

33

34

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25
26
27
28

Index

- Cross by Mr. Hyslop - page 1267
- Cross by Mr. MacNutt - page 1327
- A - 34 Undertaking number 2 - page 1265
- A - 35 Undertaking number 3 - page 1265
- A - 36 Undertaking number 1, October 4th 2005 - page 1325
- A - 37 Undertaking number 4, October 4th 2005 page 1325
- A - 38 Undertaking number 5, October 4th 2005 page 1325
- PI - 7 - Table - page 1318
- Undertakings:
- Page 1326 - computer code outputs for 2004, 2005
- Page 1337 - what explanation can you provide with respect to the difference in the number of miles of distribution lines just described i.e. between the two annual reports
- Page 1338 - which number of miles was used in the report

1 New Brunswick Board of Commissioners of Public Utilities

2

3

4

5 In the Matter of an application by the NBP Distribution &

6 Customer Service Corporation (DISCO) for changes to its

7 Charges, Rates and Tolls

8

9

10 Delta Hotel, Saint John, N.B.

11 October 5th 2005

12

13

14 CHAIRMAN: David C. Nicholson, Q.C.

15

16 VICE-CHAIRMAN: David S. Nelson

17

18 COMMISSIONERS: Ken F. Sollows

19 Randy Bell

20 Jacques A. Dumont

21 Patricia LeBlanc-Bird

22 Diana Ferguson Sonier

23 H. Brian Tingley

24

25 BOARD COUNSEL: Peter MacNutt, Q.C.

26

27 BOARD STAFF: Doug Goss

28 John Lawton

29 John Murphy

30 Arthur Adelberg

31 Steve Garwood

32

33 BOARD SECRETARY: Lorraine Légère

34

35

36 CHAIRMAN: Good morning, ladies and gentlemen. Any

37 preliminary matters?

38 MR. MORRISON: Yes, Mr. Chairman, we have responses to two

39 of the five undertakings that were given yesterday. Those

40 would be undertakings number 2 and 3.

41 Undertaking number 1 we should have ready at the

2 break. That dealt with submitting a rate design with a 900
3 kilowatt first block. And we are just finalizing that and
4 should have it ready at the break.

5 CHAIRMAN: Okay, undertaking number 2?

6 MR. MORRISON: October 4th.

7 CHAIRMAN: Will be A-34.

8 MR. MORRISON: And the second undertaking, Mr. Chairman, is
9 undertaking number 3, October 4th, response to a request
10 from Vice-Chairman Nelson to Mr. Larlee.

11 CHAIRMAN: Undertaking number 3 will be A-35.

12 MR. MORRISON: Just also for clarity, Mr. Chairman, the
13 transcript is showing I guess a sixth undertaking but --
14 which is at page 1246. We responded to that yesterday
15 afternoon by referring to an IR response which is exhibit
16 A-16, IR-38.

17 CHAIRMAN: Who has asked for that?

18 MR. MORRISON: I think it was Commissioner Sollows.

19 MR. SOLLOWS: PI IR?

20 MR. MORRISON: PI IR-38. I just want to make sure that
21 Commissioner Sollows is satisfied that that is responsive.

22 MR. SOLLOWS: Yes, it was clarified right in the hearing
23 that the last column in the tables is the revenue that
24 they would have earned --

25 MR. MORRISON: Right.

2 MR. SOLLOWS: -- if it had been billed at the firm rate.

3 MR. MORRISON: Okay. Thank you, Mr. Chairman. That's all.

4 CHAIRMAN: I got out of order here so I will have
5 appearances for the record for today please? The
6 Applicant?

7 MR. MORRISON: Terry Morrison, David Hashey, Lori Clark for
8 the Applicant. And our witness panel of Neil Larlee and
9 Malcolm Ketchum.

10 CHAIRMAN: Thanks, Mr. Morrison. Canadian Manufacturers &
11 Exporters? Mr. Plante is not here? Conservation Council?
12 Eastern Wind isn't here. Enbridge Gas?

13 MR. MACDOUGALL: David MacDougall for Enbridge Gas, Mr.
14 Chair, and I am joined today by Ruth York.

15 CHAIRMAN: Thank you. The Irving Group?

16 MR. STORRING: Mr. Chairman, Thomas Storrington on behalf of
17 the Irving Group.

18 CHAIRMAN: Thanks, Mr. Storrington. NBSO? Rogers? Mr.
19 Hashey, were you able to get a hold of Rogers?

20 MR. HASHEY: We sent them a note. We are trying to find out
21 this morning and confirm that at some point today, that
22 they would be available in the morning.

23 CHAIRMAN: Okay, great.

24 MR. HASHEY: But at this moment, no.

25 CHAIRMAN: Thank you.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25
26

MR. HYSLOP: Mr. Chair, I spoke late yesterday afternoon with Ms. Vaillancourt. She is anticipating coming to the hearings at noon hour and I told her to look for Mr. Hashey at that time and we would probably have a pretty good idea where we are on schedule with regard to --

CHAIRMAN: Good. Thanks, Mr. Hyslop. Self-represented individuals? Municipals?

MR. GORMAN: Good morning, Mr. Chairman. Raymond Gorman for the Municipal Utilities. I am joined this morning by Dana Young.

CHAIRMAN: Thanks, Mr. Gorman. Vibrant Communities? Public Intervenor?

MR. HYSLOP: Peter Hyslop with Mr. Knecht, Mr. O'Rourke, Mr. Barnett, Ms. Young and Ms. Power.

CHAIRMAN: Thanks, Mr. Hyslop. Mr. MacNutt, who is with you today?

MR. MACNUTT: I have with me today Doug Goss, Senior Advisor, John Lawton, Advisor, Arthur Adelberg, Consultant, Steve Garwood, Consultant, and John Murphy, Consultant.

CHAIRMAN: Thank you, Mr. MacNutt. Any other preliminary matters? Go ahead, Mr. Hyslop.

CROSS EXAMINATION BY MR. HYSLOP

MR. HYSLOP: Thank you, Mr. Chair and good morning. And

2 good morning, Mr. Ketchum and Mr. Larlee.

3 Q.1174 - I guess start where were we and the next item is
4 generation cost classification. And I guess a little bit
5 of review, I know Mr. MacDougall may have covered this,
6 but just to put things in perspective again.

7 The starting point for this application, of course, would
8 have been the 1992 CARD decision in which the PUB approved
9 NB Power's demand energy split for fix generation costs on
10 the basis of 40 percent demand and 60 percent energy.

11 Was that the point where you started, Mr. Larlee?

12 MR. LARLEE: Yes.

13 Q.1175 - And with respect to the energy costs in that decision
14 both for fuel and reclassified fix costs for the 1992 CARD
15 decision, those were based on an energy charge over the
16 whole test year, 1992. Is that correct, Mr. Larlee?

17 MR. LARLEE: Yes, that is correct.

18 Q.1176 - Thank you. And the -- one of the little edges on it
19 the Board did approve the 40/60 demand energy split, but
20 did so, I understand, subject to the NB Power doing a
21 further study to confirm the results.

22 MR. LARLEE: Yes, that is correct.

23 Q.1177 - Right. And that study was the Reed report which has
24 been often referred to in these hearings which was

2 completed by a company with which you were associated with at
3 the time, Mr. Ketchum?

4 MR. KETCHUM: That is correct.

5 Q.1178 - And as I do understand your evidence in front of Mr.
6 MacDougall, in fact, sir, you were I think the lead person
7 in the preparation of that report?

8 MR. KETCHUM: That is also correct, Mr. Hyslop.

9 Q.1179 - Thank you. And if you would refer to the Reed
10 report, which is -- excerpts of it are contained in the
11 binder which I passed out yesterday. And in particular
12 starting at pages 20 -- I believe it is page 21 and 22.

13 MR. DUMONT: Under tab?

14 MR. HYSLOP: Be under tab 2, Mr. Dumont.

15 Q.1180 - And at page 21 of that report, the conclusion of your
16 study, and perhaps just to give a little background, I
17 read through the report and as I recall, with regard to
18 different methodologies for the classification of fixed
19 production costs, I think you analyzed five or six
20 different methods that are sometimes used by cost
21 allocation experts?

22 MR. KETCHUM: Yes, that is correct.

23 Q.1181 - And in addition, you identified I think two or three
24 other methods that are sometimes used but because of the
25 NB Power landscape, as it was at the time, you dismissed
26

2 those as probably not being able to be fully considered?

3 MR. KETCHUM: That is correct.

4 Q.1182 - Right. But you did do a careful analysis of at least

5 I think five or six methods separately before coming to
6 your conclusions?

7 MR. KETCHUM: Yes, we did do that at that time.

8 Q.1183 - Yes. And I appreciate, Mr. Larlee and Ketchum, I am
9 not in any way trying to take you automatically where you
10 are going to disavow what you are going to tell me later.

11 But I appreciate very much that it was at that time and
12 that was the results of your analysis.

13 And in fact at page 21 of the report, and I think I am
14 quoting accurately from it, you stated "Based on RCG's
15 analysis of the various methods for classifying fixed
16 production costs, including all the evidence presented in
17 this chapter, the most appropriate method for NB Power at
18 this time was the peaker credit method. Is that correct?

19 MR. KETCHUM: That is accurate.

20 Q.1184 - Yes. And if I look a little further, and I just
21 again want to make sure we know how solid you were on that
22 opinion, you set out some pretty good reasons for that, I
23 suggest, at the bottom of page IV 21.

24 And again, I think you cited five reasons. You stated the
25 peaker credit method was selected because it is a

2 widely recognized methodology that directly addresses the
3 production cost classification issue. Correct?

4 MR. KETCHUM: Correct.

5 Q.1185 - Right. You also said it is straightforward in its
6 application, easily understood and can be readily updated
7 to reflect actual changes in production capacity mix. Is
8 that correct?

9 MR. KETCHUM: Yes.

10 Q.1186 - Right. It postulates the availability of combustion
11 turbine technology and a diversity of resources, NB Power
12 has CTs on its system in a diverse resource mix. Correct?

13 MR. KETCHUM: That is correct.

14 Q.1187 - It is a system planning approach because it
15 incorporates the notion of trade-off of capital for lower
16 energy cost, NB Power's planning process clearly fits this
17 model.

18 MR. KETCHUM: Yes. Once again, that is an accurate reading.

19 Q.1188 - Yes. And other methodologies were rejected because
20 they do not appear to reflect NB Power's situation as
21 accurately as the peaker credit method, are not direct
22 classification methods or depend on data not available at
23 NB Power.

24 MR. KETCHUM: Once again, accurate reading.

25 Q.1189 - Okay. So it is fair to say that when this report was

2 finalized, and I forget the exact date, but 1992, 1993, you
3 were pretty clear in your mind that the peaker credit
4 methodology was a methodology that would certainly fit the
5 NB Power situation.

6 MR. KETCHUM: Again, that is what our analysis showed at the
7 time.

8 Q.1190 - Yes. And I appreciate the words "at the time".

9 MR. KETCHUM: Yes.

10 Q.1191 - And this, and I don't think it was coincidental, but
11 one of the results of application of the peaker credit
12 method at that time was that it very closely reached the
13 same results that the approved method of NB Power in the
14 1992 CARD hearing?

15 MR. KETCHUM: It did in fact produce a result that was close
16 to the Board approved classification split, yes.

17 Q.1192 - So the peaker credit method had been used during the
18 NB Power hearings themselves the 40/60 split would have
19 closely resembled what the Board actually approved?
20 I'm sorry, I can see by the look on your face -- the
21 results of the peaker credit method almost identical to
22 the results of the Board approved, the 40/60 split?

23 MR. KETCHUM: Correct.

24 Q.1193 - And as part of the Reed Report, and I'm looking
25 particularly at pages 2 and 2 (a) of that report, your

2 analysis also took into account the question of at that time
3 the pending construction of the Belledune power plant, is
4 that correct, Mr. Ketchum?

5 MR. KETCHUM: You are looking at the tables now?

6 Q.1194 - Yes. Table 2 and table 2 (a).

7 MR. KETCHUM: All right. Yes.

8 Q.1195 - Yes. And I hope they are contained in the booklet
9 that I gave you?

10 MR. KETCHUM: Yes. The tables are.

11 Q.1196 - Yes.

12 MR. KETCHUM: You just said page. And I just --

13 Q.1197 - Okay. I apologize.

14 MR. KETCHUM: -- want to be clear.

15 Q.1198 - I'm looking at table 2 and table 2 (a).

16 MR. KETCHUM: Yes.

17 Q.1199 - And the table 2 is an analysis that was done with the
18 peaker credit method but not including Point Lepreau. And
19 that resulted in a fixed cost classification for demand of
20 38.72 percent and energy of 61.28 percent?

21 MR. KETCHUM: I think you misspoke. It -- the first table 2
22 did not include Belledune. It did include Point Lepreau.

23 Q.1200 - Yes.

24 MR. KETCHUM: That is yes.

25 Q.1201 - Yes. If I said Point Lepreau, none of the question

2 is supposed to have anything to do with Point Lepreau.

3 MR. KETCHUM: All right.

4 Q.1202 - And table 2 (a) included the results of adding

5 Belledune into the system. And the fixed cost

6 classification resulted in demand at 34.6 percent and

7 energy at 65.4 percent, correct?

8 MR. KETCHUM: Yes. The company had estimates for the cost

9 of Belledune although that wasn't complete at the time.

10 Q.1203 - Now -- and again I appreciate your sensitivity to

11 making sure we are dealing at that time. Because I'm

12 anticipating you are saying at this time we have Purchase

13 Power Agreements. And we will get to that in a few

14 seconds.

15 Now if I turn up Disco EGNB IR-36 which is an exhibit

16 would be found for the record in exhibit A-16, for the

17 record, what we asked in that IR, Mr. Larlee, was that we

18 update the peaker credit method to the latest results that

19 NB Power had.

20 And had the peaker credit method been applied this time,

21 which I appreciate at this time it wasn't, the fixed and

22 the energy costs would have been apportioned 39 percent,

23 61 percent.

24 Is that correct, Mr. Larlee?

25 MR. LARLEE: That is the updated results.

2 Q.1204 - Yes.

3 MR. LARLEE: We were able to update to 2001, 2002. And the
4 results were approximately 39, 61 percent demand energy
5 classification.

6 Q.1205 - So we have got that background out of the way. Now,
7 you know, I'm just thinking a little bit about NB Power
8 post Belledune, Mr. Larlee. You can help me here.
9 But my understanding is the generation mix and the
10 generation of plants that NB Power had in 1993 after it
11 added Point Lepreau, there has been no significant
12 additions to the NB Power group of generation assets since
13 that time?

14 MR. LARLEE: You did say Point Lepreau again. I take it you
15 meant Belledune?

16 Q.1206 - Belledune, I'm sorry. Yes. I will get my geography
17 straight sooner or later.

18 So after the addition of Belledune we haven't added any
19 significant new generation units or capacity to the NB
20 Power system, Mr. Larlee?

21 MR. LARLEE: I'm just thinking about the time in Millbank.
22 But I believe Millbank and St. Rose were completed prior
23 to Belledune. So I believe that is correct.

24 Q.1207 - Right. And we haven't taken any significant capital
25 assets out of the system. I know there was a couple of CT

2 units at Millbank were sold off to Enron. But I think they
3 have been purchased back.

4 Am I correct again there that we haven't removed any
5 significant generation from the system?

6 MR. LARLEE: I'm just doing a quick comparison between the
7 tables. In '92 when the Reed Report was done, at that
8 time none of the Millbank units were considered part of
9 the NB Power system.

10 Because they would have all been -- four of them would
11 have been contracted to Hydro Quebec. So they are not
12 included. And Courtenay Bay has considerably higher book
13 value.

14 Q.1208 - Well, let's go through them.

15 MR. LARLEE: Well, I guess not book value but dollars. So
16 there are some changes because of decommissioning of
17 Courtenay Bay. So there are some changes.

18 MR. MACDOUGALL: Mr. Chair, if I may interject just for a
19 second. At the moment I'm sort of sensing a tremendous
20 amount of deja vu where a whole series of questions are
21 identical to those that have been previously posed. And
22 I'm just wondering how that is efficient for the process
23 or how it is efficient for cross examination.

24 I'm pretty sure all of these questions -- I asked all of
25 these questions pretty much in this order. And I'm

2 wondering where we are going.

3 CHAIRMAN: Well, Mr. MacDougall, I think Mr. Hyslop has the
4 right to conduct his cross. And if he wants to build
5 something up and refresh this panel's memory of the
6 questions that you asked then that is okay with this
7 Board.

8 MR. MACDOUGALL: That is fine then, Mr. Chair. Thank you
9 very much.

10 MR. HYSLOP: Thank you, Mr. Chair. I appreciate some of
11 this is repetitive. But it is to get to a point. And I
12 hope to get there fairly quickly.

13 Q.1209 - Sorry for the delay, Mr. Larlee. But perhaps to -- I
14 was trying to get to a point. So maybe I will just ask
15 the point.

16 And as I understand it, taking a look at the entire NB
17 Power system today and comparing it to that in 1993, the
18 basic tradeoff between peaking and base load units, that
19 essential relationship remains much the same today as it
20 did in 1993, is that correct?

21 MR. LARLEE: Yes. I agree with that.

22 Q.1210 - Okay. If I had asked that the first time we would
23 have a lot less confusion. So I apologize. Okay.

24 So I want to just perhaps, panel, think about how this
25 peaker credit method works. And I may not be using the

2 right terminology, and if so I appreciate if you might take
3 the time to correct me.

4 But the peaker credit analysis decides cost -- applies
5 cost causation principles and what I would call on an
6 economic cost causation. In other words there is an
7 economic result from the monies that are spent, whether it
8 be on fuel or capital.

9 Would that type of analysis of an economic cost causation
10 carry some weight?

11 MR. KETCHUM: I would just make a distinction in that
12 regard, Mr. Hyslop. Typically when we think about cost
13 causation in terms of a class cost allocation study, we
14 are thinking about the costs that come down through the
15 various functions and are subsequently allocated to the
16 customer classes based on a relationship that we trust
17 reflects to a proper degree the cost causation.
18 In the system planning context the system planner has to
19 look at the potential types of resources that may fit into
20 or under if you will a load duration curve that indicates
21 to the planner for the current time and in the future what
22 resources would fit under that curve and produce a least
23 cost result for production of power.

24 That sort of thing is something that was done -- has
25 always been done by system planners I would say over the

1
2 years in an integrated utility context.

3 And now with much broader markets and system operators and
4 so on, that sort of thing has been sort of preempted by
5 competitive kind of considerations and the ability to sell
6 power into open markets, particularly in the northeast.

7 Q.1211 - Okay. Well, I think I understand your answer. But
8 I'm not sure it answers the question.

9 And what I'm suggesting is when you are doing your class
10 cost causation, you look at -- and you are using the
11 methodologies that you used in 1992 and '93 -- you are
12 looking at the question who is causing the cause -- or
13 what is causing the cost to be incurred.

14 Is that correct, Mr. Ketchum? What causes it?

15 MR. KETCHUM: Well, once again, you know, if we selected a
16 classification methodology for the generation fixed cost
17 we look to the Board-approved methodology on a 40/60
18 split.

19 And that was based on the Board's approved methodology
20 that was subsequently supported by what is often called a
21 peaker credit methodology for classifying that fixed
22 portion as we have discussed repeatedly.

23 Q.1212 - And I appreciate the methodology that you used. But
24 I'm trying to just take it back to a more fundamental

25

2 question than that.

3 And the fundamental question that I'm asking is if you are
4 going in today anywhere -- and I'm not trying to do
5 anything with PPA's or not with PPA's -- the fundamental
6 question a guy doing a cost allocation study does is he is
7 trying to figure out what causes each cost to be incurred.

8 Who is causing the plant to be built? Who is causing the
9 fuel to be billed?

10 Am I correct in that very basic premise?

11 MR. KETCHUM: Yes. That is correct.

12 Q.1213 - That is all the point I'm trying to make. I'm not
13 trying to get any more esoteric than that. So who causes
14 the cost? That is what we call cost causation, correct?

15 MR. KETCHUM: That is correct.

16 Q.1214 - Okay. So in 1992, '93 this Board decided that those
17 parties that cause new facilities to be built, they are
18 going to accept 40 percent of those fixed generation
19 costs. And those that cause those buildings to be built
20 for the purposes of energy, they get 60 percent.

21 And that was an analysis of who is causing those costs,
22 correct, Mr. Ketchum? Whether they are right or whether
23 they are wrong, that is the result?

24 MR. KETCHUM: I hate to sort of try to be more precise here.

25 But I guess it is in my nature. The classification of

1
2 The cost, again of the fixed portion of the cost was
3 determined to be on that 40/60 basis.

4 The allocation of the cost to the classes was done for the
5 fixed peak, the demand-related piece on coincident peak.
6 And the energy portion was based on each class'
7 contribution to the total energy requirement.

8 Q.1215 - Well, I think the main point is the point I may have
9 made earlier. But anyhow we will move on here a little
10 bit.

11 So I want to kind of throw a little bit of a hypothetical
12 out to you if I could. And that hypothetical is this.
13 Let's assume that October 1st 2004 the energy advisers and
14 the financial experts decided let's keep everything the
15 same. Rather than do this financial and corporate
16 reorganization of NB Power, we are going to leave it just
17 the way it was.

18 And also -- I mean, your evidence seems to be that the
19 basic tradeoffs between base load and peaker have not
20 fundamentally changed at NB Power. And your ER 36, EGNB
21 36 suggests that if we use the same methodology we would
22 be about the same place.

23 My question is a very simple one. If we hadn't done the
24 reorganization would it be your evidence that the peaker
25 credit method would still be the applicable method

2 for determining the classification of demand in energy fixed
3 costs, fixed generation costs for NB Power?

4 MR. KETCHUM: I think other experts have said Board-approved
5 methodology.

6 MR. HYSLOP: Sorry for the delay, panel.

7 Q.1216 - So as I understand your evidence and the cross
8 examination that you have put before some of your previous
9 evidence on cross examination, the significance today is
10 that on October 1st 2004 the financial and corporate
11 reorganization of NB Power did occur.

12 Is that correct, Mr. Ketchum?

13 MR. KETCHUM: Well, I would say that that is correct. But I
14 would add that there were, you know, some policy
15 considerations that went into that reorganization, and
16 that decision that provide policy direction as well.

17 Q.1217 - Okay. But we can only speculate on those?

18 MR. KETCHUM: I would suggest that it is mere speculation.

19 I think some of the policy directives are fairly clear.

20 Q.1218 - Well, I'm just going back to the evidence the other
21 day in one of the IR's where it was not -- anyhow where it
22 wasn't -- it was thought we really shouldn't be
23 speculating on what those policy things are. I'm not
24 about to. But we will go.

25 So we have the financial reorganization. And if we

2 can just back up again, if we hadn't had this, the economics
3 of the situation, we would be using the peaker credit
4 methodology or the Board-approved methodology. And we
5 would be coming forward.

6 So I understand that your evidence is that we are going to
7 use the PPA's to classify Genco's fixed generation costs.

8 That is what you have done, Mr. Larlee?

9 MR. LARLEE: Yes.

10 Q.1219 - Yes. And I'm just trying to get to the theory of why
11 this was done.

12 And as I understand your position, it is your view that
13 the billing determinants in some of the PPA's are better
14 to be used for the demand energy split than the peaker
15 credit methodology, correct?

16 MR. LARLEE: I think I have mentioned this before. But I
17 will go through it again. Essentially we are in a
18 situation where as a result of the restructuring of NB
19 Power, functionalization within the cost of service study
20 was no longer necessary or required.

21 So when it came to looking at the cost, of the supply cost
22 and the generation cost, the PPA's were really the cost
23 driver. So that was sort of the first step in the
24 rationale in working down through and getting those costs
25 classified.

2 So in the case of the Genco PPA, not only were the costs
3 functionalized, already functionalized as being 100
4 percent generation cost, they were already -- they were
5 classified as well as being either demand-related or
6 range-related within that PPA.

7 Q.1220 - Well, again I want to try to simplify this. I think
8 your answer is a long way of answering the question I have
9 put to you, which is simply that you took the view that
10 after analysis of the Purchase Power Agreement they better
11 reflected the methodology to be used for the
12 classification of demand and energy cost, correct?

13 It is not a trick question. I'm just asking you have you
14 used the agreement to do the classification?

15 MR. LARLEE: I did use the PPA, the Genco PPA to do the
16 classification.

17 Q.1221 - Yes. Just the Genco PPA?

18 MR. LARLEE: Yes.

19 Q.1222 - And we will get to what you did with the Nuclear PPA
20 in due course.

21 So then -- and the question I'm having difficulty with is,
22 you know, you were applying the terms of the Genco PPA,
23 correct?

24 MR. LARLEE: I was applying the costs that were flowing from
25 the Genco PPA.

2 Q.1223 - Yes. Okay. So the costs that are flowing, they
3 would be part of the contractual terms?

4 MR. LARLEE: Yes.

5 Q.1224 - Yes. Okay. So you know, what you were doing -- and
6 I tried to go down the line of economic cost causation a
7 few moments ago. And I'm going to spring another little
8 phrase on you. And then I'm going to see how you react to
9 it.

10 But what I want to get at is what you were doing is
11 applying shall we say contractual cost causation factors.

12 Would that be right, Mr. Larlee? Is that too esoteric?

13 MR. LARLEE: Well, I would prefer to characterize it as
14 essentially as-billed.

15 Q.1225 - Okay.

16 MR. LARLEE: As billed to Disco.

17 Q.1226 - So the terms "as-billed" would be the terms that were
18 set out in the contract. So the billings reflect the
19 terms of the contract don't they?

20 MR. LARLEE: Yes.

21 Q.1227 - Yes. So in other words when you reflect the as-
22 billed invoicing from Genco to Disco, you are determining
23 the energy, demand energy split on the basis of the terms
24 of the contract itself, correct?

25 MR. LARLEE: Yes, to a large degree.

2 Q.1228 - Right. So my phrase "contractual cost causation"
3 seems to have some meaning here?

4 MR. LARLEE: Yes, in the context you just laid out.

5 Q.1229 - Right. Thank you.

6 But as I also understand your evidence, contractual cost
7 causation is not a reasonable approach with respect to the
8 Nuclear PPA?

9 MR. LARLEE: Yes. That is correct.

10 Q.1230 - Rather with the Nuclear PPA you have made a decision
11 that the Board methodology would appear to be more
12 applicable?

13 MR. LARLEE: That is correct.

14 Q.1231 - Now let's talk about the Purchase Power Agreements.

15 And as I recall the panel's evidence and the evidence that
16 has been filed last Thursday, the Purchase Power
17 Agreements are based upon advice and recommendations to
18 government from financial advisers and industry experts,
19 correct?

20 MR. LARLEE: Yes.

21 Q.1232 - And neither you nor Mr. Ketchum were involved in the
22 development of these particular Purchase Power Agreements?

23 MR. LARLEE: That is correct.

24 MR. KETCHUM: That is correct.

25 Q.1233 - Thank you, Mr. Ketchum.

2 And they were done for the purpose of public policy
3 decisions with respect to risk allocation and capital
4 structures.

5 I think that is again the answer that was in Disco PI IR-
6 57. And that is not in the book. But I think that was
7 the evidence last Thursday, that the PPA's were created
8 for that purpose, correct?

9 MR. LARLEE: I'm sorry. You are going to have to repeat the
10 question.

11 Q.1234 - Okay. Well, the Purchase Power Agreements were
12 created to carry out some public policy decisions with
13 respect to risk allocation and capital structures?

14 MR. LARLEE: That is my understanding, yes.

15 Q.1235 - Thank you. Again I'm just trying to refresh the line
16 of questioning.

17 And the -- well, when I look at the results of using the
18 peaker credit method -- if I just use the peaker credit
19 method or the Board-approved methodology as a whole and
20 applying it, is it fair -- and I'm going to speculate and
21 ask maybe you to speculate a little bit here.

22 Is it fair to suggest that perhaps these industry experts
23 and financial advisers weren't really paying too much
24 attention to the factors of economic cost causation?

25 Rather they were putting contracts together for financial
26

1 - 1288 - Cross by Mr. Hyslop -

2 and other reasons? Can we speculate on that --

3 MR. MORRISON: I don't think --

4 Q.1236 - -- and voice a view?

5 MR. MORRISON: I don't think these witnesses can offer any
6 comment on that, Mr. Chairman. They weren't involved in
7 the process.

8 Q.1237 - Okay. Well, would it be fair to say then perhaps
9 that we don't have any expertise on cost causation as an
10 input into these Purchase Power Agreements? You don't
11 know?

12 MR. LARLEE: I can't comment on that.

13 Q.1238 - Thank you. They didn't involve you or Mr. Ketchum.

14 Maybe they should have. Anyhow, I will withdraw that.

15 That wasn't -- that is not needed.

16 So just to pull it together with respect to the generation
17 PPA, you are classifying fixed generation on the basis of
18 how the bill comes to Disco, Mr. Larlee?

19 MR. LARLEE: The Genco PPA, yes, to a large degree. There
20 is a fixed component of Genco's cost that is actually
21 billed on a dollar per megawatt-hour basis. And
22 consistent with how we treated the Point Lepreau PPA, we
23 treated that the same way and classified that as 40/60 as
24 well.

25 Q.1239 - Right. And the hazards of passing out my outline

26

2 ahead of time are noted.

3 So with regard to the -- you know, you have made an
4 assumption, I would suggest, in the way you are dealing
5 with the Genco PPA with regard to what these people may
6 have thought was the true economic cost causation at the
7 Genco level?

8 MR. LARLEE: No. I wouldn't agree with that. What we did
9 was is we were reflecting Disco's cost causation, the
10 costs flowing to Disco, which are the costs coming from
11 the PPA's.

12 Q.1240 - Okay. So let's stay with that then for a moment if I
13 can. You know, you get a bill for so much of a demand
14 charge and you get a bill for so much of an energy charge
15 from Genco. This may or may not reflect the demand energy
16 split at the Genco level.

17 Would that be correct, Mr. Larlee?

18 MR. LARLEE: If you mean if it is a perfect reflection of
19 Genco's fixed and variable cost mix, I don't know. And I
20 don't believe it is. But I don't know for a fact.

21 Q.1241 - Well, we do know if we use the peaker method we get a
22 considerably different result, correct?

23 MR. LARLEE: Yes. I would say that is correct.

24 Q.1242 - Thank you.

25 MR. KETCHUM: I would like to see if we can clarify that a

2 little bit. I don't --

3 MR. MORRISON: I thought it was clear, Mr. Ketchum. The
4 witness should be entitled to --

5 MR. HYSLOP: Well, no. I'm satisfied I have received a full
6 answer.

7 Q.1243 - Now one of the problems I have got -- and we
8 mentioned the Genco PPA which is -- instead of using the
9 PPA billing determinants you have used the Board-approved
10 methodology.

11 And one of the problems I have got, and I think my friend
12 Mr. MacDougall had, was that there appears to be a lack of
13 consistency in the treatment of fixed generation costs
14 between the Nuclear PPA and the Genco PPA. And I trust I
15 can be forgiven for that.

16 And in the Nuclear PPA the pricing is based on 100 percent
17 energy charge, correct?

18 MR. KETCHUM: That is correct.

19 Q.1244 - Yes. But rather than use the PPA and create a demand
20 energy split of zero percent to demand and 100 percent to
21 energy, you used the 40/60 split that had been previously
22 approved by this Board, correct?

23 MR. KETCHUM: It was first necessary for Mr. Larlee to split
24 the cost of the Nuclearco costs that were passed down to
25 Disco on the basis of a demand in energy component or a

2 capacity or fixed cost and energy component. And then the
3 40/60 split was applied to the fixed cost portio.

4 Q.1245 - Okay. In other words you didn't treat it as 100
5 percent energy, is that correct, Mr. Ketchum?

6 MR. KETCHUM: That is correct.

7 Q.1246 - Right.

8 MR. KETCHUM: Mr. Larlee did not do that. Because it simply
9 didn't make sense.

10 Q.1247 - Didn't make sense. So with regard to the Genco
11 pricing, you accepted what the contract stated? Correct,
12 Mr. Larlee?

13 MR. LARLEE: Accepted the billing charges as they appeared,
14 yes.

15 Q.1248 - So again, I go back. In one case you accepted the
16 PPA billing methods and in the other case you ignored
17 them?

18 MR. LARLEE: In the case of Genco, the costs were
19 essentially pre-classified, demand and energy. In the
20 case of the Nuclearco PPA, there was no demand component.

21 So we have a very large plant with an obvious capacity
22 value, an obvious demand value, and nothing reflecting
23 that in the bills flowing to Disco.

24 So as Mr. Ketchum pointed out, it didn't make sense to
25 classify that as 100 percent energy. So we felt we had to

2 -- we had to do something different and the Board approved
3 methodology seemed like the way to approach it.

4 Q.1249 - Sure. Okay. I think the answer to my question is in
5 there but we will move along. And in doing this, I want
6 to refer to your evidence, Mr. Larlee, if I could. And I
7 guess it is actually the evidence of Mr. Ketchum and page
8 9 there which is in the binder. Starting at line 22.

9 And Mr, Ketchum, you stated "I believe that the approach
10 used by Disco strikes the proper balance between the
11 historically utilized PUB approved classification that in
12 turn is supported by Disco supply mix and the new reality
13 as reflected in the power purchase agreements."

14 That is what you said, Mr. Ketchum? I'm sorry.

15 CHAIRMAN: Mr. Hyslop, I think you should point out where in
16 your new volume we are.

17 MR. HYSLOP: i am looking at page 9 of Mr. Ketchum's
18 evidence. I think I --

19 MR. MORRISON: It is under tab 2, I believe.

20 MR. HYSLOP: Under tab 2, I'm sorry.

21 MR. MORRISON: At the beginning of tab 2.

22 Q.1250 - All the questions I am asking at this time are -- the
23 references will be in tab 2. Do you have it, Mr. Ketchum?
24 Do I need to repeat the question?

25 MR. KETCHUM: I have that. No. That is what I said on that

2 page, yes, in that reference section.

3 Q.1251 - Sure. So what I want to deal with now is this proper
4 balance issue. Now, if I might, I want to talk about the
5 impacts of these decisions on the residential class. When
6 you change the nuclear demand energy split from 0 to 100
7 to 40/60, this would allocate a significant amount of
8 demand and would adversely affect on -- have an adverse
9 impact on the residential sector. Would that be correct?

10 MR. KETCHUM: Again, as we indicated previously, there was
11 no deliberate thought given to how this would affect the
12 various classes. What was done was based on the logic of
13 using the as-billed as well as the common sense approach
14 with respect to the nuclear classification. The result is
15 that previously the residential class was allocated about
16 38 percent of total production costs and under the current
17 classification methodology, the total allocation was
18 closer to 40 percent of the total production cost.
19 So the difference from the prior method, if we could have
20 applied that, if restructuring hadn't have happened and we
21 didn't have this restructured environment and the
22 necessity to look at the as-billed situation and the
23 difference would have been 38 to 40 percent, a 2 percent
24 increase in the generation cost.

25 Q.1252 - But again, first Mr. Ketchum, I have heard your

2 evidence and I accept there is no deliberate slanting of
3 anything. But my question was if you allocated -- I will
4 rephrase it. If you had taken the Nuclear PPA and done
5 the demand energy split, 0/100, that would have been a
6 very favourable result to the residential class. Correct?

7 MR. KETCHUM: The classification would have been more in
8 line with a historical just coincidentally, yes.

9 Q.1253 - Yes. And similarly and again, I am not trying to --
10 I am just trying to find out the impacts here. But if you
11 had left the Genco split at 40/60, the residential class
12 would have been better off than with the split that you
13 finally came to, the 68/32. Correct?

14 MR. KETCHUM: Yes, I think that is more or less what I just
15 said, yes.

16 Q.1254 - Yes. Okay. So again, each time that you and Mr.
17 Larlee went about trying to strike the proper balance
18 here, the result seems to be an adverse consequence to the
19 residential sector. And I am not -- again, put it on the
20 record, I am not saying that was an intention. I am just
21 saying that is the result.

22 MR. KETCHUM: Again, I will just point out that Mr. Larlee
23 did the study. My job was to review the results. I
24 looked at what he did and the reasons he told me he did it
25 and I thought that was a reasonable and sustainable

2 approach for going forward in the current environment, as I
3 have discussed earlier in the proceeding.

4 Q.1255 - So Mr. Larlee and you must have had some significant
5 discussions on how to determine and to strike this proper
6 balance?

7 MR. LARLEE: As Mr. Ketchum noted, we basically had our cost
8 allocation study almost entirely complete when he reviewed
9 it. And it was his opinion that he agreed with the
10 decisions that we did make.

11 Q.1256 - Okay. So striking this proper balance, there would
12 be some underlying logic to it that could be applied no
13 matter what took place in the PPA agreements. So
14 regardless of what the PPA agreements stated, there would
15 be some underlying logic to how you would go about
16 determining the proper balance, Mr. Larlee?

17 You are the one that did this the first time so you know,
18 when you looked at the -- the PPA agreements were billed
19 differently. You must have developed an underlying logic
20 as to how you would apply them?

21 MR. LARLEE: I think I went through the logic of how I
22 applied it. My first notion was these are the costs that
23 Disco is going to incur and they should be reflected as
24 directly as possible in the cost allocation study.

25 When I came to the Nuclearco costs and the

2 methodability, I couldn't accept 100 percent energy charge
3 which would result in 100 percent energy classification,
4 knowing that every generation facility has fixed costs
5 regardless of the type of generation facility used.

6 Q.1257 - Well let's assume these industry advisers and
7 industry experts and financial advisers had said it should
8 be 80 percent energy and 20 percent fixed in the Nuclear
9 PPA, using the same logic that you used when it was 100
10 percent and 0 percent, what conclusions might you have
11 come to, Mr. Larlee?

12 MR. LARLEE: Well I think in your hypothetical example it
13 would have significantly changed my thinking if any
14 portion of that -- any portion of that supply cost had a
15 fixed component. At least there would have been some
16 recognition that there is -- that there is a fixed
17 component in any facility.

18 Q.1258 - Well okay, so let's just pick it. If they had said
19 it's 20 percent fixed and 80 percent variable, that's the
20 way it came down on the billing determinant, would you
21 have done your allocation on the Nuclear 20/80? Is that
22 what you are telling me? Or would that still have been a
23 little too unreasonable and you would have stuck with the
24 40/60? Go ahead.

25 MR. LARLEE: Again, at that point or at some point at least

2 there is a realistic recognition of the fixed costs.

3 Q.1259 - Okay. So would that mean you would have accepted the
4 20/80?

5 MR. LARLEE: I guess I think I would have. I would have at
6 least seen that there is some recognition of the fixed
7 costs.

8 Q.1260 - Let's think about the Genco one.

9 MR. KETCHUM: Can I follow up on that or --

10 Q.1261 - I have got the answer from the witness that how he
11 would have done it, he did the cost allocation study
12 first.

13 Let's talk about the Genco one. Say the billing
14 determinants on Genco had come down to you the same as
15 they did in the Nuclear one, 100 percent energy. Where
16 would we have been? Would we have been with the 40/60?
17 What would have been your rationale then?

18 MR. LARLEE: I would have come to the same conclusion, that
19 obviously any supply has to have some fixed component. If
20 there was no fixed component I would have come to the same
21 conclusion as I did with the Nuclearco PPA.

22 Q.1262 - So would you have used 40/60 because the Board
23 determined that was appropriate in 1992?

24 MR. LARLEE: Essentially there is no other guideline for
25 classification. That is the classification, essentially

2 the classification that the knowledge that we have in lieu of
3 any other and the one that we have used in all the cost
4 allocation studies --

5 \Q.1263 - Sure.

6 MR. LARLEE: -- since.

7 Q.1264 - And let's just maybe pull one more example out just
8 to see where we are at. Let's say that for example the
9 Genco PPA had said let's bill this out on the basis of 20
10 percent fixed and 80 percent variable, so it would be
11 20/80.

12 I assume you would do the same thing with that that you
13 told me you would have done if it had been 20/80 with the
14 Nuclear one and gone on that basis?

15 MR. LARLEE: Again the PPA's are Disco's costs as Disco sees
16 them. And I think really the first option is that, is to
17 reflect the PPA's if at all possible. And that is what I
18 would have done.

19 Q.1265 - So you would probably do the 20/80?

20 MR. LARLEE: Hypothetically, yes.

21 MR. HYSLOP: Mr. Chair, it might be -- I see were are about
22 an hour in. It might be a good time for a 10, 15-minute
23 break and kind of reorganize where we are at. And I do
24 anticipate finishing by noon.

25 CHAIRMAN: I know where I'm at. Do you want to break? That

1 - 1299 - Cross by Mr. Hyslop -

2 is fine. We will take 15 minutes now, Mr. Hyslop.

3 MR. HYSLOP: Thank you.

4 (10:00 a.m. - 10:15 a.m. - Recess)

5 CHAIRMAN: Was that enough time, Mr. Hyslop?

6 MR. HYSLOP: Just great, Mr. Chair. I trust the Board --

7 CHAIRMAN: It made good use of the time.

8 MR. HYSLOP: Thank you.

9 MR. HASHEY: Mr. Chairman, on the Rogers issue, if you could
10 do something about the fog, Rogers will be flying in and
11 we will be here in the morning.

12 MR. SOLLOWS: Taken care of.

13 CHAIRMAN: If I could do something about the fog I would
14 have done it a long time ago. I wanted to see the stern
15 of the Queen Mary and I couldn't.

16 MR. HYSLOP: Thank you, Mr. Chair. I think the next couple
17 of exhibits I will be referring to will be found in your
18 binder under tab 3. And I have shortened some of the
19 cross examination.

20 Under tab 3 there is exhibit A-3. It is page 3 of the
21 evidence of Lori Clarke. And in particular I'm referring
22 to table 1 (b) which appears near the top of the page.

23 Q.1266 - And before the break we were talking about billing
24 determinants. And perhaps, Mr. Larlee, starting off
25 quickly, I see a capacity charge of 2525 megawatt as at

26

1 - 1300 - Cross by Mr. Hyslop -

2 \$105,000 per megawatt per year for \$254,600,000, correct?

3 MR. LARLEE: Yes. That is correct.

4 Q.1267 - And if I just show the connection between that and
5 the classification. On schedule 5.1, if I look at line
6 22, that shows up as \$254 million as Genco firm demand, is
7 that correct?

8 MR. LARLEE: Yes. That is correct.

9 Q.1268 - And that is classified 100 percent to demand,
10 correct?

11 MR. LARLEE: Correct.

12 Q.1269 - And on the next line of Mrs. Clarke's exhibit on the
13 table, we have got the energy charge which is 10,000,000
14 and change megawatt-hours at \$44.96 for a total of \$460
15 million, is that correct, Mr. Larlee?

16 MR. LARLEE: Yes. That is correct.

17 Q.1270 - Right. And if I go over and look at schedule 5.1
18 that does show up. But from my observation it shows up in
19 two places.

20 The first one is in the Genco, a firm energy of \$387
21 million?

22 MR. LARLEE: Correct.

23 Q.1271 - And that would be on line 23. And then it also shows
24 up, I'm assuming, and you can confirm this, as Genco
25 contribution to fixed costs of \$73 million on line 24,

26

2 correct?

3 MR. LARLEE: Yes. That is correct.

4 Q.1272 - Right. Now I was trying to figure out where that \$73

5 million came from. And I do have one page of the Genco

6 PPA agreement in the booklet. It is page 46. And under

7 paragraph 6.2.6 it says the contribution to fixed --

8 CHAIRMAN: You are looking at the last page under tab 3, is

9 that correct?

10 MR. HYSLOP: That would be correct. I believe it is the

11 last page.

12 CHAIRMAN: Refer on the page to the paragraph.

13 Q.1273 - Okay. I'm looking at paragraph 6.2.6 which is the

14 last one before "Third party gross margin credit." It

15 says the contribution to fixed costs will be \$7 for the

16 fiscal year ending March 31st 2005.

17 MR. LARLEE: Yes. I see that.

18 Q.1274 - Right. And I'm not going to spend a lot of time.

19 But it was a lot of fun to wonder why that fixed credit --

20 or contribution to fixed cost wasn't just \$7.

21 But I assume that was \$7 per megawatt-hour. Am I correct,

22 Mr. Larlee?

23 MR. LARLEE: Yes. That is correct.

24 Q.1275 - Right. Okay. Maybe we should ask for a refund. I

25 don't know.

2 But regardless that is the basis of the \$73 million that
3 shows up on line 24 of schedule 5.1?

4 MR. LARLEE: Yes, it is.

5 Q.1276 - Right. Now if I take the firm demand charge you have
6 allocated that 100 percent to demand, zero percent to
7 energy?

8 MR. LARLEE: Yes. I have classified it as --

9 Q.1277 - Yes, classified. And the Genco firm energy charge
10 has been classified zero percent to demand and 100 percent
11 to energy?

12 MR. LARLEE: That is correct.

13 MR. KETCHUM: Everybody looking at --

14 Q.1278 - I'm looking at schedule 5.1 at the bottom at line 23.

15 And on the contribution to fixed costs I would have
16 expected that to show zero percent, 100 percent.

17 But I see that it is 40 percent, 60 percent for its
18 classification, Mr. Larlee?

19 MR. LARLEE: Yes. That is correct.

20 Q.1279 - And again is that in any way related to the -- I
21 assume that 40 percent, 60 percent was due to application
22 of the Board's previous decision in 1992?

23 MR. LARLEE: That is correct. And it is a recognition of
24 the fact that these are fixed costs, for whatever reason
25 are priced on a per energy basis in the PPA.

2 Again it didn't make sense to classify them as 100 percent
3 energy, knowing that they were full fixed cost. Similar
4 logic as we applied to the Nuclearco PPA. And so
5 therefore we classified them based on the Board-approved
6 method.

7 Q.1280 - So even within this one particular agreement, the
8 Genco agreement, sometimes you used the billing
9 determinants and sometimes you used the methodology that
10 was used by the Board in 1993?

11 MR. LARLEE: Yes.

12 Q.1281 - Thank you. The last line of questioning in this area
13 -- and I will try to go slow. But I'm trying to put
14 myself in the boots of -- perhaps Mr. Marois should still
15 be here.

16 But on October 1st 2004 we have a new distribution
17 company. And the new distribution company has customers,
18 Mr. Larlee?

19 MR. LARLEE: Yes.

20 Q.1282 - Yes. The customers that the old NB Power had on
21 September 30th, correct?

22 MR. LARLEE: Yes, in-province customers, correct.

23 Q.1283 - And if you are going to meet the demands of your
24 customers you got to go out and find some electricity,
25 correct?

2 MR. LARLEE: That is correct. Yes.

3 Q.1284 - Right. And what you did is you went to the two new
4 companies that formed PPA's. But let's suppose as part of
5 this big reorganization each and every generation unit had
6 been sold off independently and they were all
7 independently-owned, just for purposes of my hypothetical.
8 Will you do that? Just assume this hypothetical.

9 MR. LARLEE: I can try. Yes.

10 Q.1285 - Okay. So you have got to go out and buy electricity
11 from probably 10 or 12 different people in order to
12 satisfy your clients.

13 So you would go out and negotiate contracts to purchase
14 electricity from a one on one basis, correct?

15 MR. LARLEE: Perhaps Mr. Ketchum can come in here. I'm not
16 really that familiar with how these things transpire.

17 MR. KETCHUM: That is sort of, you know, a brief explanation
18 of the process of soliciting bids for power.

19 Q.1286 - Yes. Okay. So you go out and look for bids for
20 power and negotiate.

21 And let's suppose as a result of these negotiations you
22 have entered into contracts with these 10 or 12 people
23 based on the fixed variable charges of them selling
24 electricity to you.

25 Can we assume that, Mr. Ketchum?

2 MR. KETCHUM: Certainly.

3 Q.1287 - Right. And you would have these contracts on a
4 system basis, all these independent people, on this
5 assumption.

6 Would that look a whole lot different than NB Power looked
7 in 1992, 1993 at the end of the day under the purchase --
8 under those hypothetical Purchase Power Agreements?

9 MR. KETCHUM: Yes, it certainly would.

10 Q.1288 - Well, if each of these plants used the same fixed
11 variable type of proportions that they had in 1992 or had
12 at the time you did the revision, in terms of the system,
13 and you paid out the same capacity charges to them as you
14 would have under the same system, wouldn't you come up
15 with much the same results, sir, that you would have had
16 you used the peaker system to an entire integrated
17 utility?

18 MR. KETCHUM: That is a pretty big hypothetical stretch, if
19 you are talking about soliciting bids. You know, again it
20 wouldn't necessarily be from these plants. The market
21 conditions would dictate, you know, what people bid the
22 power in for.

23 Typically those contracts are for short periods of time.
24 They might be specific to particular -- serving the

2 needs of particular classes and that sort of thing.

3 So like I said, it certainly would be a very different
4 situation. And that is the kind of thing that I was
5 referring to.

6 Q.1289 - Okay. So in a different situation it is because of
7 the nature of the negotiations on a plant-by-plant basis.

8

9 But just maybe come at it another way. You are in charge
10 of procuring sufficient electricity to meet the demands of
11 your customers. You need so much capacity, correct?

12 MR. KETCHUM: That is correct. Yes.

13 Q.1290 - And you need so much energy, correct?

14 MR. KETCHUM: Yes.

15 Q.1291 - You would need so much peaking electricity and a
16 certain amount of base load, correct?

17 MR. KETCHUM: Again we are assuming some more underlying
18 hypothetical sorts of things.

19 Q.1292 - I agree this is hypothetical.

20 MR. KETCHUM: Okay. I mean, if you sort of wanted to go out
21 and replicate the kinds of needs that you had, maybe they
22 would be provided by different suppliers using a different
23 kind of resources, but still supplying the kinds of things
24 that you have. But it may not be and probably wouldn't be

25

2 utilizing the same resources.

3 After all these are vintage resources, you know. And if
4 we are looking at the market there are changed
5 technologies and that sort of thing, different situations
6 with fuel. And a whole host of things have changed since
7 '92.

8 So I think I understand where you are going. But you
9 know, there is a lot of underlying hypothetical kind of
10 assumptions here that we would all have to agree to before
11 we could try to say that we would put the system back
12 together on a competitive current basis the same way the
13 resource mix is, you know, for the heritage facilities.

14 Q.1293 - Well, I guess what you are telling me is if you
15 started at day one from scratch you might have a little
16 different mix than you would -- that you were left with by
17 the heritage assets on October 1st?

18 MR. KETCHUM: Yes. And probably more than a little.

19 Q.1294 - So just to back up, you know, we have heard NB Power
20 say that, you know, what they have to do and always on an
21 ongoing basis. It is an integrated unit.

22 They have to back up and they have to plan for their
23 future capacity based on the demands that are out there
24 and what they might need at a certain point of time,
25 correct?

2 MR. KETCHUM: Yes, certainly.

3 Q.1295 - Yes. And on October 1st with this new plan, you
4 know, you would either have somebody planning capacity or
5 you have somebody at Disco on October 1st whose main job
6 would be to ensure a supply.

7 So instead of building capacity and building for energy,
8 he is purchasing capacity and purchasing energy. Would
9 that be right, Mr. Ketchum?

10 MR. KETCHUM: I guess I can say yes, generally.

11 Q.1296 - Okay. Thanks very much.

12 MR. HYSLOP: This may simplify it again, Mr. Chair.

13 CHAIRMAN: Sure.

14 MR. HYSLOP: I'm just going to move on and look at the
15 distribution costs. And the exhibits where I do refer to
16 them will be under tab 5.

17 Q.1297 - Now just again to put in perspective, the starting
18 point again was the CARD decision for your consideration
19 of distribution costs, Mr. Larlee?

20 MR. LARLEE: Yes. I think that is --

21 Q.1298 - And from reading the report -- and I'm not going to
22 take you through it -- but they approved a 50/50 split of
23 distribution operating costs. But it was subject to a
24 review being made, correct?

25 MR. KETCHUM: Could we get a reference for the 50/50 piece?

2 We know what the historical pieces were for the individual
3 components.

4 Q.1299 - My reference would be on page 14 of the CARD
5 decision, Mr. Ketchum, third paragraph.

6 MR. KETCHUM: all right. Thank you.

7 Q.1300 - Yes. And I think it may have been some reference in
8 there to just O & M. But I think it was to all the
9 operating costs.

10 And this is this 50/50 thing I wanted to have confirmed.

11 MR. KETCHUM: Yes. Go ahead. There were specific kind of,
12 you know, functionalization and classifications for the
13 various components of the distribution system as well.

14 MR. LARLEE: But I believe the 50/50 --

15 Q.1301 - I will go on. The point I'm asking is --

16 MR. LARLEE: For clarification I believe the 50/50 referred
17 to O & M cost.

18 Q.1302 - And just to make my point, looking at the last
19 paragraph on page 14 and the last sentence, it said "The
20 Board accepts NB Power's classification of distribution
21 costs pending a review and encourages NB Power to acquire
22 more complete data for use in future and a cost of service
23 studies."

24 So that was your starting point, Mr. Larlee?

2 MR. LARLEE: Correct. And that is what -- I believe that is
3 what we did.

4 Q.1303 - And just to review, Mr. Ketchum, as part of your Reed
5 study, you address some comments to distribution costs
6 under section B (i) of that study?

7 MR. KETCHUM: That is correct.

8 Q.1304 - Now in the previous evidence it appears common I
9 expect between the various cost allocation experts that,
10 particularly in the area of distribution costs, there has
11 to be a certain element of judgment applied?

12 MR. KETCHUM: Yes. I would agree with that, yes.

13 Q.1305 - Yes. And you know, just to paint the big picture,
14 distribution costs have a demand component?

15 MR. KETCHUM: I would agree with that.

16 Q.1306 - And that is quite commonly accepted?

17 MR. KETCHUM: Yes.

18 Q.1307 - Yes. And in some jurisdictions at least distribution
19 costs are also deemed to have a customer component?

20 MR. KETCHUM: That is correct.

21 Q.1308 - Right. And by customer we mean that the costs vary
22 with the number of customers?

23 MR. KETCHUM: Correct.

24 Q.1309 - It is customer-related, I think is the phrase you
25 people like to use?

2 MR. KETCHUM: That is right.

3 Q.1310 - Okay. And the more customers you have then the more
4 costs that you allocate or are borne because of the
5 increase in the number of customers, correct?

6 MR. KETCHUM: Yes. The theory is that there are elements of
7 the distribution system that, you know, are required to
8 connect all of the customers. And the more customers you
9 have the more distribution system you have to have in
10 order to serve. So they are directly related.

11 Q.1311 - Yes. That is right. And part of the problem though
12 is being able to really zero in on how much is demand and
13 how much is customers. It is one of those gray areas that
14 requires the judgment?

15 MR. KETCHUM: Well, yes. And I'm sure you are going to get
16 there. But there are various methodologies that are
17 generally accepted that get us to that point.

18 Q.1312 - You have read my notes again.

19 Now just so we are clear on impacts, the distribution
20 costs and the demand and customer components, I'm not --
21 there is no impact on the large industrial or wholesale
22 customers because they are served at transmission
23 voltages?

24 MR. LARLEE: Yes. That is correct.

25 Q.1313 - Okay. So know where we are coming from. And the

1 - 1312 - Cross by Mr. Hyslop -

2 higher the allocation of costs to the customer component the
3 more it gets allocated to the residential customers,
4 particularly nonelectric heating residential customers.

5 Is that correct, Mr. Larlee?

6 MR. LARLEE: Yes. That is a direct result of the fact that
7 there are so many residential customers. And they are
8 small relative to the other distribution customers, the
9 general service and the small industrial customers.
10 There are close to 300,000 residential customers out of a
11 total of 330' or so thousand customers. Obviously the
12 more cost that we allocate to the customer component then
13 it tends to -- those costs tend to flow to the residential
14 rate class.

15 Q.1314 - So if we went from a 50/50 classification of
16 distribution costs to a 60 percent customer, 40 percent
17 demand classification, we would be moving costs away from
18 say general service customers and towards smaller
19 residential customers.

20 That would be the results, Mr. Larlee?

21 MR. LARLEE: Yes.

22 Q.1315 - And one of the results of moving costs to be more
23 customer-related, this would provide a cost basis for
24 Disco to increase the customer charge to residential
25 customers, would it not, Mr. Larlee?

26

2 MR. LARLEE: Now you are moving into the area of rate
3 design. If you stay focused on cost allocation study,
4 what we are trying to do is just simply reflect the cause
5 causation.

6 How you interpret the actual customer cost, that is part
7 of the rate design process.

8 Q.1316 - Okay. I appreciate it is part of the rate design.
9 But it is pretty basic.

10 If there is higher customer charges it would stand to
11 reason then you would be able to increase the residential
12 charge for the customer or the customer charge for each
13 customer, correct? It stands to reason?

14 MR. LARLEE: Well, I mean, one of the inputs you are going
15 to use when we are looking at the potential increases to
16 the monthly service charge is look at what is the customer
17 cost coming out of the cost allocation study. But it is
18 not the only -- it is not the only factor.

19 Q.1317 - Right. And so the answer is yes to my question?

20 MR. LARLEE: I don't think I can answer. I have to qualify.
21 It is one of the factors. Yes, it is one of the factors
22 that you look at when you are looking at changes to the
23 monthly service charge.

24 Q.1318 - And assuming the monthly service charge goes up, this
25 would tend also to result in a reduction to Disco's

2 revenue volatility, wouldn't it, Mr. Larlee?

3 MR. LARLEE: Well, in that it is not related to whether
4 consumption in the class goes up or down. Related to
5 weather, that is true, that it tends to -- it is a more
6 stable --

7 Q.1319 - Thank you.

8 MR. LARLEE: -- pricing mechanism.

9 Q.1320 - Now I want to refer you to exhibit P-3, PUB PI IR PUB
10 (PI) 7(d). And that is in the booklet. About the 12th
11 page in.

12 Q.1321 - Do you have it, Mr. Ketchum?

13 MR. MORRISON: Can we get the reference again? I don't
14 which tab it is under.

15 MR. HYSLOP: It's under tab 5, Mr. Morrison. It's about the
16 12th page in.

17 CHAIRMAN: And the IR number again is?

18 MR. HYSLOP: It's IR PUB (PI) IR-1 to 7 to Energy Advisors.

19 And I believe it's the 7th IR. And it's section D of
20 that IR. It's page 14. And it would be at the bottom.

21 Q.1322 - Now this IR refers to something called the Basic
22 Customer method, you would be familiar with that, Mr.
23 Ketchum?

24 MR. KETCHUM: Yes.

25 Q.1323 - It's a methodology that classifies all poles and
26

2 wires as demand related, considers only meter, meter reading
3 and billing as customer-related. Would that be a correct
4 statement of how the Basic Customer method works?

5 MR. KETCHUM: Well, it's applied slightly differently in
6 various jurisdictions, but essentially that's, you know, a
7 fair characterization.

8 Q.1324 - Right. And the -- as I understand this methodology,
9 this would tend to be a methodology that would be most
10 favourable to residential customers?

11 A. This would tend to shift costs more to the demand
12 component as opposed to the customer component.
13 Obviously, this is one way of doing things. We don't
14 agree that it's the appropriate way. But nevertheless the
15 result would be as you suggest.

16 Q.1325 - Yes. And we are not even suggesting the use of this
17 one, Mr. Ketchum, if you read our evidence.

18 MR. KETCHUM: No.

19 Q.1326 - But what I did find unusual in this particular
20 response, and I am looking at the bottom of the page under
21 D where we put a question to the Energy Advisors, and we
22 ask them to identify the U.S. jurisdictions where this
23 basic customer method is used. And in the reply they
24 indicated that this approach appears to be used at the
25 present time in 30 states in the United States. And my
26

2 question on this, would you accept that as being an accurate
3 statement?

4 MR. KETCHUM: No.

5 Q.1327 - No?

6 MR. KETCHUM: I think I would have to verify that. But in
7 my experience, I don't think -- it sounds like a high
8 number of states where it's --

9 Q.1328 - But you don't have any specific reason?

10 A. I don't have any -- you know, I can't really -- I
11 haven't reviewed the study and I haven't reviewed the
12 survey behind the study. I suspect that I have suspicions
13 about the results.

14 Q.1329 - Fair enough.

15 MR. KETCHUM: Yes.

16 Q.1330 - And I am sure your counsel may want to take that up
17 later. I don't know with other parties. But anyhow my
18 understanding is that you have not selected this basic --
19 or this Basic Customer method for your methodology for
20 part of this cost allocation study?

21 MR. KETCHUM: No, Mr. Larlee has not utilized that method.
22 Nor have -- as you have pointed out -- the other experts
23 in this proceeding.

24 Q.1331 - Thank you. Now there is another methodology that is
25 sometimes used and that is the Minimum Size method. Are

2 you familiar with that, Mr. Ketchum?

3 MR. KETCHUM: Yes.

4 Q.1332 - And is that the methodology you used for purposes of
5 -- Mr. Larlee used for purposes of his cost allocation
6 study?

7 MR. KETCHUM: He used that for one component, the Minimum
8 Size was used for the poles component of the distribution
9 system and Zero-Intercept was used for transformers and
10 then other direct methods were used for the other account
11 levels.

12 Q.1333 - Do I understand it was used for conductors as well,
13 the Minimum Size method?

14 MR. KETCHUM: Yes.

15 Q.1334 - Yes. But this system I suggest has been criticized
16 by some experts for overstating the customer component of
17 plant distribution costs?

18 MR. KETCHUM: It has indeed, but there is a counter argument
19 that there is a very heavy labour component in the
20 building of distribution systems. And that means that,
21 you know, probably looking at a minimum pole or a minimum
22 conductor size may be a good indication of the least of
23 amount of money that one would have to spend to hook up a
24 particular customer to the system.

25 Q.1335 - And then that's the counter argument that's given to

2 it, but we don't have a complete and full analysis as to the
3 evidence that would either prove or disprove either your
4 position or my position on this, is that correct, Mr.
5 Larlee or Mr. Ketchum? Using judgment --

6 MR. KETCHUM: Yes, there has to be judgment, as we said
7 before, involved in this kind of work like --

8 Q.1336 - And as I also understand some experts and not all,
9 but many experts take the view that sometimes because of
10 the demand portion being part of the customer costs, there
11 is often an adjustment at the end to reflect some of these
12 demand costs that may be included in the customer side?
13 That often occurs?

14 MR. KETCHUM: Yes. Some analysts will do that, you know,
15 because there is within the Minimum Size some capacity
16 obviously to satisfy demands.

17 Q.1337 - Now I want to move on if I could and perhaps just to
18 have some view of this and how it affects. I do have a
19 table I would like to put into evidence and have some of
20 your comments on it, if I could, Mr. Ketchum?

21 MR. KETCHUM: Certainly.

22 CHAIRMAN: That will be PI-7.

23 Q.1338 - Mr. Ketchum, you have the exhibit PI-7 in front of
24 you?

25 MR. KETCHUM: Yes, I do.

2 Q.1339 - And what I am trying to get at here is there is
3 another system that is called the Zero-Intercept method
4 that is sometimes used by cost allocation experts?

5 MR. KETCHUM: That's correct.

6 Q.1340 - Right. And the minimum or the Zero-Intercept method
7 is a methodology that goes and takes a line that is
8 established by costs at various points. And it says what
9 would be the costs be at the Y intercept, is that correct?

10 MR. KETCHUM: Yes. We are regressing the costs against
11 capacity. And at zero capacity then the theory would be
12 that that would be customer-related, there is no demand
13 component.

14 Q.1341 - So in this hypothetical -- and I think we have used
15 the hypothetical of conductors and I point out for the
16 record, this is completely hypothetical. It is not based
17 on any of the evidence. But for example, for the smallest
18 conductor, which would be a 5 kVA capacity conductor, the
19 cost of that per meter would be \$2.80. And under the
20 minimum system methodology, am I correct that you would
21 just move the line across to the Y axis and that \$2.80
22 would be the declining point between customer and demand
23 capacity?

24 MR. KETCHUM: Yes, that is correct in the hypothetical.

25 Q.1342 - Yes. And if we were to use what is used in some

2 jurisdictions, the basic customer method, the cost would be at
3 0?

4 MR. KETCHUM: I wouldn't say that for meters. For some
5 other components.

6 Q.1343 - Yes. Okay. But using a basic customer method
7 generally, that would move you down to 0? Perhaps if we
8 used conductors, poles and transformers?

9 MR. KETCHUM: I think with the basic customer method the
10 meter would be 100 percent customer so -- but other
11 components would be 0, yes.

12 Q.1344 - Yes, okay. And what we proposed in Mr. Knecht's
13 evidence is Zero-intercept and this is only for
14 illustration purposes. But the Zero-intercept method
15 appears to fall somewhere between the minimum system and
16 the basic customer system. Would that generally be the
17 case, Mr. Ketchum?

18 MR. KETCHUM: Yes. I think I misinterpreted -- I should
19 look at the top and it does say conductors on the top and
20 I guess this is per customer or per meter so it is not
21 regressing meters, it is regressing conductors.

22 Q.1345 - But my basic point is is amongst the different
23 methodologies, the one that seems to come most in the
24 middle would be the Zero-intercept method.

25 MR. KETCHUM: In this hypothetical but you know, that

2 depends a great deal on the data and oftentimes of course, as
3 your expert will acknowledge, depending on the slope of
4 the line, the intercept could be below -- below 0 and can
5 give you some pretty screwy results.

6 Q.1346 - Yes, I understand that from reading the literature.

7 I want, if I could, to just refer you on to the evidence
8 that was a part of the evidence of your evidence in this
9 matter where you looked at -- and I'm looking at page 11,
10 Mr. Ketchum, of your evidence?

11 MR. KETCHUM: Yes, I have that.

12 Q.1347 - Right. And this is just the last line of questioning
13 and I appreciate it is an issue of judgment but --

14 CHAIRMAN: Sorry, Mr. Hyslop. Where are we now?

15 MR. HYSLOP: I believe it is the last -- it is under tab 5,
16 Mr. Chair, and I believe it might be the last page in the
17 tab.

18 CHAIRMAN: Okay.

19 MR. HYSLOP: No, I'm sorry, it's not. Page 11 Mr. Ketchum's
20 evidence. I will give you the exhibit because maybe we
21 missed it. It would be in A-3 under the evidence of Mr.
22 Ketchum.

23 MR. MORRISON: It is 11 pages in under the tab 5 in that
24 binder.

25 MR. HYSLOP: Thank you, Mr. Morrison.

2 Q.1348 - You have the tab and in particular looking at tab 2 I
3 just want to go through some of the historical and
4 recommended decisions and how they impact.

5 CHAIRMAN: Table 2?

6 MR. HYSLOP: Yes.

7 Q.1349 - Okay. And these are your -- you are confirming Mr.
8 Larlee's decisions on these points, Mr. Ketchum?

9 MR. KETCHUM: That's correct.

10 Q.1350 - Right. And if I look at poles and fixtures,
11 historically they were allocated or classified 50 percent
12 demand, 50 percent customer and you are recommending that
13 it be switched to 40/60, correct?

14 MR. KETCHUM: Yes, that -- again, I am confirming that the
15 results that Mr. Larlee and his team did to produce that
16 result are reasonable.

17 Q.1351 - Yes. And I appreciate it is your view that they are
18 reasonable and -- but my point is -- and the only point I
19 want to make is this reclassification has -- would
20 adversely affect the residential class. Is that correct?

21 MR. KETCHUM: That particular change could again, if I could
22 just jump ahead in that testimony, after all was said and
23 done we did look at the impact of the change that was done
24 by Mr. Larlee on page 14 of my direct evidence. And the
25 overall change to the residential revenue to cost ratio

2 was only in the third decimal place for all practical
3 purposes, the residential revenue to cost ratio remained
4 the same.

5 Q.1352 - I'm not asking how significant it was but it did
6 adversely or would adversely affect the residential class?

7 MR. KETCHUM: That one particular piece of the allocator
8 there or the classification between demand and customer
9 would tend to put more cost onto the customer allocator
10 and since as Mr. Larlee said, there are a lot more
11 residential customers than other customers, that would
12 tend to, in this case very very slightly, increase the
13 cost being allocated to the residential class relatively
14 speaking.

15 Q.1353 - Sure. And just to lump it together, there is four of
16 these that have been affected historically and recommended
17 and those poles and fixtures, conductors and accessories
18 and then transformers, there is three. In each of those
19 three categories of fixed plant distribution costs, your
20 change in allocation would vary insignificantly according
21 to your evidence, would adversely impact against the
22 residential class. Is that correct, Mr. Ketchum?

23 MR. KETCHUM: That is correct. Again, I found that to be
24 reasonable and I didn't conduct the study.

25 MR. HYSLOP: That is correct. Just check my notes. Mr.

2 Chairman, that completes my cross examination of this panel.

3 I would like to thank both Mr. Ketchum and Mr. Larlee for
4 their cooperation and assistance throughout. Thank you.

5 MR. KETCHUM: Thank you, Mr. Hyslop.

6 CHAIRMAN: Thank you, Mr. Hyslop. My memory is that Mr.
7 MacNutt, you would be the last to examine this panel.

8 MR. MACNUTT: That is my understanding, Mr. Chairman.

9 CHAIRMAN: Okay. Would you like to start now?

10 MR. MACNUTT: I would prefer to take -- start lunch now and
11 perhaps come back earlier because we may be able to reduce
12 the number of questions.

13 CHAIRMAN: Well you know that is the way to tease me if
14 anybody says they are going to reduce the number, why we
15 will do it. We will break now but we will come back at
16 1:00.

17 (Recess - 11:30 a.m. - 1:00 p.m.)

18 CHAIRMAN: Let the record show that the fog has lifted and
19 Rogers is represented this afternoon. Any preliminary
20 matters?

21 MR. MORRISON: Yes, Mr. Chairman. I think we can complete
22 the record on the undertakings with the exception of that
23 one number 4 from day 2 and which is the StatsCan thing.
24 But we have responses to all the others. Copies have been
25

2 given to the Secretary. And we can just proceed in the normal
3 fashion.

4 The first one is undertaking number 1 from October 4th.

5 It was a question from the Chairman to Mr. Marois. And it
6 had to do with restoring the block size to 900 kilowatt-
7 hours and doing another calculation. So that response is
8 being distributed.

9 CHAIRMAN: This is undertaking number 1. And it will be
10 A-36.

11 MR. MORRISON: The next undertaking response is undertaking
12 number 4 from October 4th, a question from the Chairman to
13 Mr. Larlee regarding the anticipated number of
14 interruptible and surplus customers for '06, '07.

15 CHAIRMAN: A-37.

16 MR. MORRISON: And finally, Mr. Chairman -- finally the
17 response to undertaking number 5 on October 4th, a
18 question from Commissioner Sollows to Mr. Larlee. And
19 that deals with the sample design report.

20 CHAIRMAN: It is A-38.

21 MR. MORRISON: So that satisfies all of the undertakings
22 save for one. And we are checking the progress on that
23 daily.

24 MR. SOLLOWS: Just for clarification, I'm looking at this A-
25 38, and I see it is a report dated July 1993. Am I to
26

2 infer from that that none of the calculations have been
3 updated for this hearing?

4 MR. LARLEE: The original load research sample was done at
5 that time. And that report reflects that particular
6 sample. The sample has been updated since then.

7 MR. SOLLOWS: So no new calculations have been done and a
8 report generated to support them? Or you simply plugged
9 the numbers into the presentation here? I see there are
10 computer code outputs and all sorts of things here. Is
11 that from 1993 or from 2005?

12 MR. LARLEE: Those are all the detailed calculations from
13 1993.

14 MR. SOLLOWS: So where are your calculations from 2005,
15 2004?

16 MR. LARLEE: We have those calculations. But I don't
17 believe that we have produced the formal report. But we
18 do have calculations that would support the refreshed
19 sample.

20 MR. SOLLOWS: So you have the equivalent computer program
21 runs and things like that?

22 MR. LARLEE: I believe so, yes.

23 MR. SOLLOWS: If you could file those?

24 MR. LARLEE: Yes.

25 MR. SOLLOWS: Thank you.

2 CHAIRMAN: Kind of discouraging, isn't it, Mr. Morrison.

3 You get two off and another is added.

4 MR. MORRISON: It comes with the territory, Mr. Chairman.

5 CHAIRMAN: Thank you, Mr. Morrison. Any other preliminary
6 matters? Mr. MacNutt?

7 CROSS EXAMINATION BY MR. MACNUTT:

8 MR. MACNUTT: Thank you, Mr. Chairman. Good afternoon,
9 Mr. Chairman and Commissioners and Panel. Now I'm going to --
10 the first question is comprised of nine -- reference to a
11 particular document. And there are nine questions
12 concerning it. I'm going to read a little preamble which
13 will make sense of the document we are ultimately going to
14 go to.

15 And Mr. Larlee in his direct evidence in exhibit A-3 at
16 page 1 identifies the 2005 and '06 class cost allocation
17 study relied upon by Disco and states that it is attached
18 to his evidence as appendix 1 which is the tab marked
19 appendix 1.

20 In appendix 1 under the heading classification net plant
21 assets the statement is made that schedule 3.1 details the
22 classification and some functionalization (primary and
23 secondary systems) of net distribution assets. Schedule
24 3.1 is a table entitled net plant asset classification by
25 function, Fiscal Year 2005-2006 budget.

2 In PUB IR 2 in exhibit A-12 Disco was asked to provide the
3 data upon which each of the allocation factors shown in
4 column 1 of schedule 3.1 are based for primary and
5 secondary.

6 The response referred to and attached, a report entitled
7 "Class Cost Allocation Study Review Of Distribution
8 Allocations" dated December 2004.

9 It is that last document that I wished the Panel to turn
10 up. And that is found in the response to PUB IR 2 in
11 exhibit A-12.

12 CHAIRMAN: Okay. A-12. And what is the IR?

13 MR. MACNUTT: PUB IR 2.

14 Q.1354 - Now there is nothing on the face of that report to
15 show who prepared the report, who prepared it?

16 MR. LARLEE: The report was prepared under my direction.

17 Q.1355 - On page 4 of the report in the first line of the last
18 paragraph the statement is made that "The derived factors
19 in the two preceding tables are largely consistent with
20 the historical values." Can we assume that this is
21 because the basic methodology is the same?

22 MR. LARLEE: You are referring to the methodology used to
23 develop the historical factors versus the methodology used
24 to develop the new factors? Is that what you are
25 referring to?

2 Q.1356 - Well, yes. Was the methodology used to develop the
3 new factors the same as the basis on which the historical
4 data was developed?

5 MR. LARLEE: I'm not completely familiar with the
6 methodology used to develop each of these factors, in the
7 historical numbers. But those are the factors that were
8 used in the CARD proceeding in 1992.

9 Q.1357 - Okay. Now on page 5 of the report under the heading
10 "Poles and Fixtures" it states that there are 362,089 NB
11 Power-owned poles in the distribution system, and then
12 deals with the cost of them. Are all these poles
13 presently owned by Disco?

14 MR. LARLEE: Yes. These are accounting record numbers. So
15 these are numbers that would be owned by Disco.

16 Q.1358 - Are all these poles supporting electricity lines
17 operating at less than 69 kV?

18 MR. LARLEE: Yes.

19 Q.1359 - Please explain how the estimate of \$147,436,000 in
20 1992 dollars was derived and why it uses 1992 dollars?

21 MR. LARLEE: The number is adjusted and to constant dollars
22 using the CPI. And 1992 was chosen just simply to put it
23 on a common basis, put all the dollars on a common basis.

24 Q.1360 - The minimum cost of a pole and fixtures is estimated
25 to be \$247.98, how is that figure derived? And it is

2 found in that first paragraph under "Pole and Fixtures."

3 MR. LARLEE: In the second paragraph under "Poles and
4 Fixtures", in that same section, we talk about the fact
5 that we used the minimum system approach. And in that
6 approach you use the smallest size that you can
7 practically build to service a customer. So that \$247.98
8 would represent the cost adjusted to 1992 dollars to
9 construct the smallest size pole and the equipment
10 required.

11 Q.1361 - Thank you. Now would you please explain why it is
12 assumed that the minimum cost of poles does not change for
13 rural versus urban installations?

14 MR. LARLEE: Well, regardless of where a pole would be
15 located, the cost wouldn't change based on simply its
16 ruralness or its urbanness.
17 What affects the cost of installing a pole primarily is
18 the hardness of the ground. If you try to plant a pole in
19 solid rock it is much more costly than in sand. And
20 particularly in New Brunswick we have both
21 characteristics. So it is not a question of urban and
22 rural. It is more a question of other factors. And this
23 would represent an average cost of that installation.

24 Q.1362 - Now does Disco track these rural and urban costs? Or
25 does it have any data to support this assertion?

2 MR. LARLEE: We don't track our costs on the basis of urban
3 and rural.

4 Q.1363 - Yes. Now still on page 5 under the heading "Poles
5 and Fixtures" in the second paragraph is stated that the
6 cost of the distribution poles and fixtures is
7 approximately 60 percent to customer-related costs and
8 approximately 40 percent to demand costs. Is that not
9 correct?

10 MR. LARLEE: Yes.

11 Q.1364 - What is your definition of customer as used in that
12 question?

13 MR. LARLEE: Well, again it is following the minimum system
14 approach. So that the minimum system costs are considered
15 to be customer-related. In other words, those are the
16 costs incurred just solely because the customer is there
17 regardless of how much they consume or what demand they
18 place on the system.

19 Q.1365 - Now you would agree with me that where every customer
20 had a constant demand year-round, that the cost allocation
21 would be 100 percent to the customer?

22 MR. KETCHUM: No.

23 MR. LARLEE: No. And I wouldn't agree with that either.

24 Q.1366 - And would that be due to a fixed charge or a
25 surcharge on energy?

2 MR. KETCHUM: No.

3 Q.1367 - Would the allocation of 40 percent of the cost of
4 distribution poles and attachments to demand be split in
5 the same proportion as energy in the case of constant
6 demand?

7 MR. KETCHUM: In other words if all customers had a 100
8 percent load factor?

9 Q.1368 - Yes.

10 MR. KETCHUM: Then the customers' contribution to demand and
11 contribution to energy would be the same as -- that
12 obviously is not something that is the case. I mean --
13 but hypothetically, yes.

14 Q.1369 - Now looking at the other extreme, where a customer
15 consumed all of its annual energy in the shortest possible
16 period, you would agree that such customer would place a
17 much greater demand on the distribution system?

18 MR. KETCHUM: Well, there is -- yes, I guess you could say
19 that if it was -- you would have to just look at the very
20 local, most local facility that you are talking about, if
21 you are talking about a single customer.

22 I mean, it is the greatest demand on his service drop and
23 meter. If his -- would be measured at his peak demand.

24 If you want to talk about that hypothetical as well.

2 And obviously there is a lot of diversity among customers.

3 And the individual peaks of all the customers wouldn't
4 occur at the same time. So that is why we use different
5 measures of demand.

6 Q.1370 - Now would you agree that a variance in consumption
7 patterns could affect such things as wire size and other
8 like matters that are necessary to supply a customer's
9 demand?

10 MR. LARLEE: The size of the wire -- let's use that as an
11 example. The size of the wire to service a customer is
12 related to their demand. It is really -- it is only
13 related to their consumption pattern inasmuch as their
14 consumption pattern is related to demand. But it is
15 really a demand requirement.

16 The wire has to be sized such that it doesn't melt when
17 the customer uses their maximum amount.

18 Q.1371 - Thank you. Now the cost of some items like poles
19 would not be affected by the demand pattern, is that not
20 correct?

21 MR. KETCHUM: Well, obviously there are different sized
22 poles depending on, you know, voltage levels and the kinds
23 of equipment and the spans and all of that sort of thing.
24 But there wouldn't be the same kind of direct one-to-one
25 correspondence with respect to customer demands and

2 size of pole. But that is all part of the system that needs
3 to be built.

4 And what we are trying to do here is simply decide how
5 much of that is -- of the whole distribution system is
6 customer-related and what part is demand-related.

7 And it is, you know, a process that certain methods have
8 been applied to, in this case a minimum system method.

9 That is one of the accepted methods in the NARUC manual
10 that we have referred to and we discussed this morning.

11 So it is a way of deciding how much is customer-related
12 and how much is demand-related.

13 And it really should be looked at I think in terms of the
14 distribution system as a whole. And we looked at these
15 components because if we have accounting records then we
16 can do things like regression analyses or look at the
17 smallest size and apply some of these methodologies we
18 have been talking about.

19 Q.1372 - Thank you. Now the result would be that there should
20 be a requirement for a minimum number of poles, is that
21 not correct?

22 MR. KETCHUM: Maybe -- I'm not quite sure I understand what
23 your question is.

24 Q.1373 - In defining a minimum system should there not be a
25 requirement to set a minimum number of poles?

2 MR. KETCHUM: Well, probably there is, you know, again some
3 minimum span. So there would be some number of poles that
4 would be required depending on again the density of the
5 customers, the population and the carrying capability of
6 the various types of poles and that sort of thing.

7 So there would be some obviously engineering
8 considerations about, you know, what the fewest number of
9 poles you could get away with I suppose for any number of
10 customers.

11 Q.1374 - So assuming that there is a requirement that there be
12 a minimum number of poles then you could multiply the
13 minimum number of poles by their average cost and charge
14 that amount to the customer and allocate the balance of
15 the cost to poles and fixtures to demand, is that not
16 correct?

17 MR. KETCHUM: I mean, I guess we could agree generally with
18 your proposition and your hypothetical but from an
19 engineering standpoint, depending on voltages and kinds of
20 poles that are erected, that the number would vary.

21 So, you know, there would be some engineering
22 considerations underlying -- I mean, obviously bigger and
23 stronger poles can support larger spans so maybe at higher
24 voltages or more demand you might actually have less
25 poles.

2 So there is a lot of things underlying the hypothetical
3 but in a general sense I guess we could agree with you
4 hypothetical.

5 Q.1375 - Thank you. Now on page 5 of your report under the
6 heading "Conductors and Accessories", there is stated that
7 the NB Power annual report of 2003/2004 identified that
8 there were 12,305 miles of distribution pole line miles.
9 Also that the total cost of conductors in 1992 dollars was
10 estimated at \$119,611,000. And the minimum cost of
11 conductors was estimated at 54 cents per foot in 1992
12 dollars.

13 Now with the figure of 12,305 pole line miles derived from
14 the number on page 49 of that annual report, was the
15 number converted from kilometers to miles?

16 MR. LARLEE: I don't know. If I had a copy of the annual
17 report, I could do a calculation.

18 Q.1376 - Well just so we can go on with the question, would
19 you accept subject to check that the NB Power annual
20 report -- excuse me -- yes, subject to check, would you
21 accept that figure?

22 MR. LARLEE: Yes.

23 Q.1377 - Now would you accept, subject to check, that the NB
24 Power annual report for 1992/1993 shows 15,926 miles of
25 distribution lines?

2 MR. LARLEE: I would subject to check.

3 Q.1378 - Yes. Because my question arising out of those two

4 sets of numbers is what explanation can you provide with

5 respect to the difference in the number of miles of

6 distribution lines just described i.e. between the two

7 annual reports. Why would they have gone down?

8 Perhaps this could best be -- in view of the fact that in

9 fairness to you, you should have a chance to check the --

10 MR. MORRISON: I understand that we will have access to the

11 explanation and it will only take a few minutes.

12 MR. LARLEE: So I will undertake to get that answer for you.

13 Q.1379 - Excuse me, I didn't hear you.

14 MR. LARLEE: I will undertake to get the response to that

15 last question for you. I will undertake to do that.

16 Q.1380 - Thank you. Now going to go on in reference that on

17 page 4 of the cost allocation report we have been looking

18 at contains an executive summary. In that summary

19 historical allocation factors are provided. Are those

20 historical allocation factors based on 15,926 miles of

21 distribution lines shown in the NB Power annual report for

22 1992/1993 or the 12,305 miles of distribution lines

23 derived from page 49 of the NB Power annual report of

24 2003/2004?

2 MR. LARLEE: As I mentioned earlier, those historical
3 factors in table 1 on page 4 are the factors that were
4 used in the CARD proceeding and I'm not familiar with the
5 precise derivation of those factors. Those are the ones
6 used in the CARD proceeding from 1992.

7 Q.1381 - Would you please undertake to determine the source of
8 the -- undertake to determine which number of miles was
9 used in the report?

10 MR. LARLEE: We can look in our files and see if we can
11 determine the derivation of those -- that allegation and
12 if we can we will provide you with that information.

13 Q.1382 - Thank you. Now coming back to page 5 of the cost
14 allocation report, the estimate for the total cost of
15 conductors in 1992 dollars was \$119,611,000. How was that
16 estimate arrived at?

17 MR. LARLEE: In the same manner that we would have done the
18 poles and fixtures. It was -- the values were all
19 adjusted to 1992 dollars using CPI -- CPI de-escalators.

20 MR. SOLLOWS: Can I just ask you a question? I am having a
21 hard time understanding -- just clarify -- why did you
22 have to go back to 1992 dollars as opposed to coming
23 forward to 2004/2005? I assume that there were asset
24 additions and retirements in between and you are trying --
25 is that the reason that you are taking it to a constant

2 base back then?

3 MR. LARLEE: Yes, that is correct. I don't believe it was -
4 - there was any particular reason other than just to get
5 it to constant dollars.

6 MR. SOLLOWS: Right. Okay. I see.

7 MR. LARLEE: There is no reason to choose '92 over any other
8 year.

9 MR. SOLLOWS: And it is just because the original report
10 used '92 dollars, it was easier taking your -- your yearly
11 data back than bringing it all forward and making it
12 current.

13 MR. LARLEE: I am not sure it is related to the original --
14 to the 1992 report or the CARD hearing. It is more the
15 data we had available went back to '92, so we started
16 there and brought all the dollars back to '92. We could
17 have just as easily moved it all forward to 2004.

18 MR. SOLLOWS: Often easier for us to think in current
19 dollars than it is historical.

20 MR. LARLEE: Yes, perhaps.

21 MR. SOLLOWS: I guess the question I have is arises from
22 something we saw earlier today, when updating your book
23 values on various power plants you used an adjustment that
24 was a construction cost index. There was some sort of a
25 construction cost index that was used. And I am wondering
26

2 why you wouldn't use a construction cost index rather than a
3 CPI to do this?

4 MR. LARLEE: We used the construction cost index to update
5 the peaker credit analysis to be consistent with the Reed
6 report methodology. I don't believe the construction cost
7 -- there is a construction cost index produced by StatsCan
8 any longer that we could have used for these numbers. So
9 we just used CPI.

10 MR. SOLLOWS: But you couldn't use one of the more
11 commercial construction cost indices that are out there?
12 I am just concerned that of course, your costs really
13 don't seem to be driven by the price of groceries or
14 whatever else is in the CPI. And there might be a better
15 index to use to shift the values.

16 MR. LARLEE: In the past we have used StatsCan indices and
17 with them no longer available we felt that CPI was the
18 next best option.

19 MR. SOLLOWS: Okay. Thank you.

20 MR. KETCHUM: The other index, Commissioner, is the Handy-
21 Whitman index it is called and I think as Mr. Larlee says,
22 this was done to be consistent with past practice with
23 respect to these kind of costs.

24 And I guess there are no longer, you know, specific
25 construction costs in the StatsCan indices.

2 Q.1383 - Just coming back to the last question I asked. And
3 that was the -- how you arrived at the estimate of
4 \$119,611,000 for the total cost of conductors. Can you
5 tell me if that was taken from the accounting records?

6 MR. LARLEE: Yes, it was.

7 Q.1384 - In the same paragraph, page 5, the minimum cost of
8 conductors was estimated at 54 cents per foot in 1992
9 dollars. How was that estimate arrived at?

10 MR. LARLEE: Subject to check I believe that was based on
11 the average cost of the smallest conductor, historical
12 average cost of the smallest conductor.

13 Q.1385 - Thank you. Now finally in that same paragraph it is
14 stated that if the entire distribution system were built
15 with a minimum conductor cost, that the cost would be
16 about \$69.6 million. This would appear to support your
17 allocation of 60 percent of the conductor cost to
18 customer.

19 Now if we take the 12,305 miles of distribution pole line,
20 multiply it by 5,280 feet, that is convert miles to feet,
21 and multiply that total by the 54 cents per foot conductor
22 cost, we would arrive at a cost, subject to check, of
23 approximately \$35.1 million. Is that not correct?

24 MR. LARLEE: Yes, that's correct.

2 Q.1386 - Now using your methodology, this would seem to
3 support an allocation of 30 percent to 35 percent to
4 customer, would it not?

5 MR. LARLEE: No. Because every distribution line has at
6 least two conductors. There is the primary conductor and
7 then there is the neutral conductor that runs underneath
8 it. Although if you look at a line, you tend to just sort
9 of focus on the one line up above. But in actual fact,
10 there is always a line below. It's usually part of the
11 secondary system that is feeding the homes or it is a
12 separate -- an uninsulated line running between the poles
13 about one-third of the way down or a couple of feet below
14 the primary line.

15 So in essence there is two conductors -- a minimum of two
16 conductors in every line.

17 Q.1387 - Thank you. Now under the final heading on page 5 of
18 the report, there is a heading, "Protective and Operating
19 Equipment". In that paragraph it is stated that data has
20 not been obtained to determine an actual estimate of the
21 allocation of costs between demand and customer. In the
22 absence of empirical data a 50-50 split has been used,
23 consistent with historical estimate.

24 Was this data available from the Disco GIS system, which
25 is the Geographic Information System?

2 MR. LARLEE: No.

3 Q.1388 - Why didn't Disco obtain the actual data for the
4 purposes of that calculation?

5 MR. LARLEE: The data is not -- it's not available.

6 Q.1389 - Now is it fair to say that equipment under this
7 heading include such things as protective equipment,
8 reclosures, switches, voltage regulators, capacitors and
9 switch gear?

10 MR. LARLEE: All of the switch gear that we would have in
11 our system I think, or at least a vast majority of it,
12 would be contained in substations and would be considered
13 part of substations.

14 In addition to your list, I might include the cutouts,
15 which are essentially fuses that are out on the
16 distribution system. But otherwise, yes, I agree with
17 your list.

18 Q.1390 - Now would you agree that it would be more -- excuse
19 me, now is it fair to say that capacitors are used for
20 power factor correction in that the larger demand, the
21 more significant the problem of a poor power factor may
22 become?

23 MR. LARLEE: Yes. Power factor correction is another way
24 of saying voltage correction or just maintaining the
25 voltage in the line. In New Brunswick we have a large

2 rural distribution network. So capacitors are also used in
3 long lines out in rural areas to maintain the voltage on
4 line. So it's not strictly a question of loads, but it's
5 a question of line length as well.

6 Q.1391 - Now this context what is the difference between
7 switches and switch gear?

8 MR. LARLEE: Well, if you have ever walked down the street
9 and you see this big steel handle stuck on the side of a
10 pole with rods running up to the top of the pole -- I know
11 there is a few around town in Fredericton that I have
12 seen. I am sure there is some in Saint John. I would
13 call that a switch. It's simply a switch out on the
14 system manually operated. Switch gear usually relates to
15 more automated equipment like breakers connected to some
16 kind of protection system that would automatically open.
17 These are the types of things that you would find in a
18 substation.

19 Q.1392 - Thank you. Now could you configure a minimum system
20 that would operate safely without switches or a switch
21 gear?

22 MR. LARLEE: No, I don't believe I could.

23 Q.1393 - Would you agree that the number of switches and
24 switch gear required to operate the system safely would
25 increase as the load factor increases?

2 MR. LARLEE: Not necessarily. I guess I am struggling with
3 the connection between load factor and this context.

4 Perhaps I can help by describing, you know, what this
5 protective systems are used for.

6 Essentially in the distribution system, particularly at
7 the primary levels, there is a significant amount of
8 energy available there should a fault occur. And if that
9 fault is not quickly interrupted, a significant amount of
10 damage will occur to the distribution system and to
11 whatever happens to be in the vicinity of the fault. So
12 that equipment is designed to very quickly interrupt the
13 flow of energy and limit the damage. And that's the
14 intent of this equipment.

15 Q.1394 - Thank you. Now as a follow-on, would you agree that
16 the percentage of switches and switch gear required to
17 build a minimum system should be assigned to customer and
18 the balance to demand?

19 MR. LARLEE: If you could ascertain what the minimum system
20 size would be for your switches and operating equipment,
21 then I would agree with you. In absence of that, we have
22 the 50-50 classification that was used in 1992 and that's
23 what we have relied on.

24 Q.1395 - Did you make any attempt to determine what a minimum
25 system would be and in turn the percentage of switches and

2 switch gear that would be involved in such a minimum system?

3 MR. LARLEE: Yes. I believe we had some discussions about
4 if we felt there was any new information available or any
5 new analysis we could do to refine this. And we came to
6 the conclusion that there wasn't.

7 Q.1396 - Now, excuse me, I didn't hear you?

8 MR. LARLEE: We came to the conclusion that there wasn't.
9 There wasn't any new information available or any new
10 analysis that we could rely on to refine this number.

11 MR. KETCHUM: I would also like to say that, you know, as a
12 general proposition, we talked about different methods
13 that we could use. The Minimum System, Minimum Size
14 System, the Zero-Intercept, and maybe Minimum Intercept,
15 these are listed in the NARUC Manual.

16 But we had a fourth method and that was the Board-
17 approved methodology. And we thought that the best -- I
18 say we, Disco thought, and I agreed, that the best thing
19 to do would be to look to see if we could -- or they could
20 improve on what was there by better and newer information
21 that was available that could be relied on. And if not,
22 the position was to use the Board-approved method from the
23 prior CARD hearing. So that was our -- the fourth
24 methodology that Disco used, if you will.

2 Q.1397 - Thank you. Now what is a reclosure?

3 MR. LARLEE: A reclosure is a device that's normally out on
4 the distribution system. And it acts as a protective
5 device and it has limited intelligence, let's say. So
6 what it will do is it will detect -- it will detect a
7 fault or high current. It's essentially deigned to detect
8 a current well above normal operating currents. And it
9 will open, wait for a specified period of time and
10 reclose. And normally they are set just to do that once.

11 Sometimes they are set to do it several times.

12 And the idea here is that most faults out in the primary
13 distribution system are either animals or trees. And that
14 the initial fault, which usually causes an arc, will burn
15 off that fault, the animal or the tree and that it can be
16 safely reclosed back in.

17 Q.1398 - So it is fair to say it is similar to a fuse or a
18 circuit breaker a homeowner would see, but more elaborate
19 as you have just described?

20 MR. LARLEE: It is similar, but then it has this capability
21 of reclosing in automatically.

22 Q.1399 - Thank you. Now could you configure a minimum system
23 that would operate safely without reclosures, fuses
24 or circuit breakers??

25 MR. LARLEE: No, I don't believe you could.

2 Q.1400 - Now would you agree that the number of switches and
3 reclosures, fuses and circuit breakers required to operate
4 the system safely would increase as the load factor
5 decreases?

6 MR. LARLEE: I guess I will give the same answer I gave in
7 the previous line of questioning. I am not sure I see the
8 connection with load factor.

9 MR. KETCHUM: Are you perhaps referring to maximum load on
10 that segment of the system as opposed to load factor?

11 Q.1401 - Yes. Perhaps it's just the load as opposed to the
12 load factor.

13 MR. KETCHUM: Yes, that would seem to make more sense to me.

14 Q.1402 - And in that context what would your answer be?

15 MR. KETCHUM: Could you repeat the question with that,
16 please?

17 Q.1403 - Would agree that the number of switches and
18 reclosures, fuses and circuit breakers required to operate
19 the system safely would increase as the load decreases?
20 That's -- I we are talking in the context of a minimum
21 system here.

22 MR. KETCHUM: No, that -- it sounded like the inverse to me.

23 Q.1404 - Would it not --

24 MR. KETCHUM: I guess you would -- you know, in all things
25 being equal, if there was more load on the system, you

2 might either use larger equipment or there may be more
3 equipment for a particular segment in the system required.

4 And so there would be a correspondence I would believe
5 with respect to the total coincident load on that
6 particular part of the system.

7 CHAIRMAN: Excuse me, Mr. MacNutt, we will take a 10-minute
8 recess now.

9 (Recess - 1:55 p.m. to 2:05 p.m.)

10 CHAIRMAN: These breaks are dangerous. Commissioner Sollows
11 has a couple more questions.

12 MR. SOLLOWS: Thank you, Chairman. I guess like you I was
13 struggling with some of the questions that you were trying
14 to answer before the break. And I know this issue about
15 the variation in items with load factor was hard to
16 grapple.

17 I'm wondering if in the context of a utility like Disco
18 that presumably has to serve a certain amount of energy
19 during next year, during the rate year, then would the
20 question make more sense that if the load factor increases
21 would there be a change in any of these parameters versus
22 a lower load factor given that you have to serve a certain
23 amount of energy?

24 MR. LARLEE: Yes. Because if your load factor goes up with
25 the same amount of energy, your demand -- the demand

2 requirement has gone down. So now conceivably you could
3 install smaller equipment.

4 MR. KETCHUM: Thanks for that clarification. That makes
5 sense.

6 CHAIRMAN: Go ahead, Mr. MacNutt.

7 MR. MACNUTT: Just catching up for a second, Mr. Chairman.

8 Q.1405 - Now would you agree that voltage regulators are
9 needed because demand is not constant year-round but
10 varies with time and location?

11 MR. KETCHUM: Sorry, Mr. MacNutt. Could you please rephrase
12 that for me?

13 Q.1406 - Well, I would have difficulty rephrasing it. But I
14 will state it again if you would like?

15 MR. KETCHUM: Thank you.

16 Q.1407 - Would you agree that voltage regulators are needed
17 because the demand is not constant year-round but varies
18 with time and location?

19 MR. LARLEE: If by location you mean the length of the
20 lines, the location of the customer relative to
21 substations, yes, I agree with you.

22 Q.1408 - Now should not their costs be allocated to demand and
23 if not, why not?

24 MR. LARLEE: I wouldn't say they should be allocated to 100
25 percent demand for the very reason of location. Customers
26

2 tend to locate in remote areas. And as a result getting the
3 electricity to them requires voltage support and voltage
4 regulators.

5 Q.1409 - Thank you. Now is the 50-50 split for protective
6 equipment shown -- the heading we were referring to -- an
7 assumption? Or has the allocation been assessed and
8 allocated after study of its usage?

9 MR. LARLEE: Again that split was based on the split used in
10 the 1992 CARD proceeding. So there was no analysis
11 associated with it for this particular cost allocation
12 study.

13 Q.1410 - Thank you. Now I'm going to ask you to turn up page
14 8 of the report. And then I'm going to refer you to an IR
15 in exhibit A-19.

16 CHAIRMAN: And what is the IR, Mr. MacNutt?

17 MR. MACNUTT: PUB IR 139 (A).

18 Q.1411 - So I will just repeat, exhibit A-19, PUB IR 139,
19 paragraph (A). And it was a supplemental round IR that
20 questioned a discrepancy in the data with respect to poles
21 and fixtures found on page 8 of the report we have been
22 referring to for the last half-hour or so.

23 And the discrepancy is in respect to the number of poles
24 in the Disco distribution system. The response to PUB IR
25 139 (A) identifies two sources used to obtain the

2 data.

3 One was the asset management summary for fiscal year 2003-
4 2004 which was cited as the source of the 362,089 pole
5 figure used on page 5. The second refers to the GIS
6 database which is listed as the source of the 343,000 pole
7 figure used on page 8 of the report.

8 First of all, just to set a background, what is the GIS
9 database?

10 MR. LARLEE: It is -- GIS stands for the Geographic
11 Information System. And it essentially places all of the
12 equipment geographically on a map. And that provides
13 useful information.

14 Primarily I believe at this point it is used for the
15 outage management system which basically is a system that
16 is used to restore power when there is outages.

17 Q.1412 - Now what level of detail does that GIS database have?

18 MR. LARLEE: Well, the level of detail is growing as we
19 speak. And that's the -- one of the -- I guess the nature
20 of a GIS system is they take time to populate. But my
21 understanding at this point is that the pole data in that
22 system was certainly adequate enough for us to use as part
23 of our analysis here.

24 Q.1413 - Now the response to PUB IR 139 (A) suggests that the
25 GIS database is incomplete and there are possible errors

2 in it. Isn't that found in the response?

3 MR. LARLEE: No. I don't believe that is what the response
4 is saying. The response is clearly stating what the
5 differences are, why the numbers vary.

6 It is not saying that either one is either correct or
7 incorrect. They are simply different. And the
8 differences are as stated in the response.

9 Q.1414 - So Disco is comfortable with the sufficiency of the
10 data with respect to poles and fixtures found in the GIS
11 database, is that correct?

12 MR. LARLEE: Yes.

13 Q.1415 - Now would you expect the additions to the GIS
14 database to lead to refinements in the distribution
15 allocation factors in future cases? You have said it was
16 a dynamic growing thing as we speak.

17 MR. LARLEE: Yes. I believe that is the case. As we have
18 more and more information available to us, hopefully we
19 will be able to refine and improve the numbers in all
20 aspects of the cost allocation study.

21 Q.1416 - Now I would like you to turn to pages 6 and 7 of the
22 CCAS and the heading "Transformers". That is back to the
23 original document we have been referring to. Yes. I'm
24 sorry. It is not CCAS. It is back to the Class Cost
25 Allocation Study Review Of Distribution Allocations.

2 And we are going to refer to pages 6 and 7 and under the
3 heading "Transformers". And your response stated that a
4 linear regression of transformer cost against transformer
5 size yields the cost of hypothetical zero kVA transformer.

6 And that zero kVA transformer may be used to determine
7 the customer cost associated with distribution
8 transformers. Is that not correct?

9 MR. LARLEE: Yes. That is correct.

10 Q.1417 - Are all of the transformers owned by Disco included
11 under this heading, and if not please identify those that
12 are not and how their costs are allocated?

13 MR. KETCHUM: The transformers that were used in the
14 regression analysis are those up to and including the 200
15 kVA transformers. And that is obviously the vast majority
16 of the transformers.

17 The larger transformers have different characteristics in
18 terms of cost and size. Many are pad-mounted. There are
19 lots of contributions and aids of construction associated
20 with those. And so they behave with respect to a
21 different cost regime.

22 So the best information in terms of linear regression here
23 is found in the majority of the transformers that are
24 under the 200 kVA size. And those transformers were used
25 to develop the equation. And then the results were

2 applied to the total number of transformers.

3 Q.1418 - How are the costs of the excluded transformers
4 allocated?

5 MR. KETCHUM: The customer component, though it would be
6 very small, was allocated to those just as it was -- or to
7 those customers that may be associated with those
8 transformers -- let me back up and restate that. Those --
9 the customer component of those transformers was
10 determined to be the same as the customer component of the
11 vast majority of the transformers. The result was \$780
12 zero-intercept and that was the customer component. If
13 you used the big transformers in there, the size of those
14 and the cost of those may be 10 times as much as say a 200
15 kVA transformer. So in doing the regression analysis, if
16 we have points that like this and then we have one that's
17 way up here, the slope of the line becomes very steep.
18 And then we have the problem of the intercept being at or
19 below zero and getting a messy result.

20 MR. SOLLOWS: May I? So if I understand correctly, you --
21 looking at the table on page 6, Table 3 Transformer Data,
22 you used the first three sets of data points for your
23 regression and omitted the last four?

24 MR. KETCHUM: Yes, that's what the -- what the Disco analyst
25 working for Mr. Larlee did. And I thought in light of

2 that explanation that it was a reasonable thing to do.

3 MR. SOLLOWS: So you had -- I am just trying to think, what
4 I understand is if you -- from what you had said just
5 previously is if you had included these for -- you would
6 have got an answer -- a number for the intercept that
7 would have been troubling to you, is that right?

8 MR. KETCHUM: Yes. This is one of those cases where some
9 judgment has to come into play. I mean, obviously a
10 negative intercept or, you know, a negative customer
11 component wouldn't make any sense.

12 MR. SOLLOWS: But I guess my problem with that is certainly
13 this is a statistical regression or analysis. So if it
14 was near zero, the fact that it was negative or positive
15 wouldn't much matter. What that says is it's within the
16 band containing zero, so it's zero.

17 So the fact that it's negative -- if it was very largely
18 negative -- was it? Or I am just having trouble grappling
19 with the notion of throwing data away to get a regression
20 analysis that we like.

21 MR. KETCHUM: Well, this is something that often has to be
22 done with this kind of data, because these are really
23 truly outliers. And as I am sure you are familiar with
24 the notion that sometimes when you are looking at data
25 sets and if you have outliers that are -- you know, look

2 to be grossly different than the rest of the data, analysts
3 will sometimes exclude those data points.

4 MR. SOLLOWS: Yes, it -- certainly that is -- can be done.

5 Are there any -- if you don't mind, are there any other
6 methodologies that you could have -- you could use that
7 wouldn't cause you to exclude your cost data?

8 MR. KETCHUM: One of the things that could have been done
9 here was to look at the smallest size transformer and use
10 a minimum size as opposed to a zero intercept. And the
11 average cost of that smaller size transformer and the 25
12 kVA category would have been \$946. It would have been a
13 little more actually than the \$780 that the analyst
14 working for Mr. Larlee came up with.

15 So I thought based on that that this was -- that was also
16 an indication that the result was reasonable.

17 MR. SOLLOWS: And again because of the historical context?

18 MR. KETCHUM: Historical context and also considering the
19 smallest -- the cost of the -- the average cost of the
20 smallest size transformers. I think they correspond
21 fairly well and actually would have given a little more
22 customer cost than the analysis that he did.

23 MR. SOLLOWS: So a very small intercept value would have
24 been equally troubling to you if you had got instead of --
25 I don't know what the number -- maybe minus -- do we know

2 what the number was when you did the regression with all seven
3 data points?

4 MR. KETCHUM: I don't have that in front of me. I think we
5 could easily find out.

6 MR. SOLLOWS: Well, I guess I would be interested just in
7 the magnitude --

8 MR. KETCHUM: Yes.

9 MR. SOLLOWS: -- if it was very much less than zero or near
10 zero? And I guess where I am coming from is if it's
11 within the probable error around zero, then the question
12 arises is this indicating something significant? Are
13 these truly outliers or is this suggesting that really a
14 large part of your transformer capacity should be
15 allocated to demand?

16 MR. KETCHUM: A fair question from a statistical point of
17 view. I think that was very near to zero, the intercept.

18 But I think -- again when you look at the smallest size
19 transformer that you could possibly put in for a customer
20 that gave me enough comfort in the result that -- along
21 with the way that the results came out and their impact on
22 the split, that it seemed to me that that was -- what was
23 done provided a reasonable result and it was based on a
24 lot of data and over 100,000 observations in terms of
25 numbers of transformers and just excluding these very

2 large ones that have a very different cost sort of scheme to
3 them.

4 They are not a typical full mounted transformers. They
5 are very large pad mounted with costs of, you know,
6 something in the order of \$20,000 and up, as opposed to
7 this 780 for the small one.

8 MR. SOLLOWS: Thank you.

9 MR. KETCHUM: You are welcome.

10 Q.1419 - Now when you indicated that you had examined a
11 minimum system, does your minimum system analysis --
12 assume that the minimum system is capable of serving all
13 system energy requirements?

14 MR. KETCHUM: No. The minimum system wouldn't -- would not
15 serve all the energy requirements. It requires a larger
16 system than the minimum in order to serve the demands of
17 the customers. And that therefore provides us with the
18 demand-related portion of the system.

19 Q.1420 - What does your minimum system assume as to system
20 energy requirements?

21 A. Everything is based on the assumption that the system in
22 place serves all of the requirements and what the analyst
23 is trying to do is parse the system to see if we can
24 determine in some fashion, again with these various
25 methodologies that are commonly used, what piece of that

2 we could say is truly related to the numbers of customers and
3 what portion is therefore -- the other portion of which
4 would be related to the demand on the system.

5 Q.1421 - Thank you. Does it assume that there is no energy on
6 the system?

7 MR. KETCHUM: No. When you say "does it assume" the minimum
8 system?

9 Q.1422 - Yes.

10 MR. KETCHUM: The minimum system -- actually we would assume
11 essentially that there is no demand for that minimum
12 system. However, there is controversy about that and we
13 have discussed that. Obviously even the tiniest conductor
14 and the tiniest pole, probably you could imagine would be
15 able to provide some energy for a 60 watt lightbulb or
16 something.

17 So there is always that issue have you sort of taken out
18 everything that might be demand related or not? So that's
19 something that needs to be considered when looking at
20 these things. There is that element of judgment. There
21 are they standard methods. There are approved
22 methodologies and so on. But there is a -- in a minimum
23 system, one of the areas of controversy is, is there
24 anything left over in that minimum system to provide
25 demand more than the tiniest you can imagine?

2 And the logical answer is well probably, yes. But then
3 there is the countervailing argument about -- it's -- even
4 if you could do -- serve that tiniest load and you had to
5 install poles and so on and so forth to get out there in
6 the country, there is a linear component to the system
7 that -- and a lot of labour involved. And you can't take
8 that away no matter how small you go.

9 So it's a question of judgment and estimates and sort of
10 accepted methodologies.

11 Q.1423 - Thank you. Finally on this document we have been
12 referring to under the heading "Transformers" we find that
13 estimates were used rather than actual data, can you tell
14 us why? That's at the top of page 7.

15 MR. KETCHUM: That I think refers to the utilization of the
16 results of the regression.

17 Q.1424 - Yes. Okay. Thank you. Are there any customers
18 served from the primary distribution lines?

19 MR. LARLEE: Yes.

20 Q.1425 - Now we are going on to a different document. And I'm
21 going to -- it may not be necessary to turn up the
22 document, but I will give you the reference anyway.

23 In the response to PUB IR-95, which is in exhibit A-12,
24 Disco was asked to deflate the average electricity prices
25 down -- shown in the annual reports of NB Power

2 using the Bank of Canada Core CPI.

3 The Disco response used the New Brunswick All Item CPI.

4 In PUB IR-125, Disco was asked why this was done. Disco
5 said in its response that, "There is no Core CPI for New
6 Brunswick, therefore, CPI for New Brunswick was used. The
7 response provided the original information reworked
8 accordingly and advised that it was redone to reflect the
9 average monthly CPI on a fiscal year basis."

10 Now one of the items in the New Brunswick All Item CPI is
11 electricity, is that correct?

12 MR. LARLEE: Subject to check, yes.

13 Q.1426 - Thank you. Would you not agree that the New
14 Brunswick All Item CPI is fairly sensitive to the New
15 Brunswick price for electricity?

16 MR. LARLEE: I can't comment on the sensitivity, but it
17 would have an impact.

18 Q.1427 - Would you not agree that the Canada All Item CPI is
19 more sensitive to the New Brunswick price for electricity
20 than either the Canada All Item CPI or the Bank of Canada
21 Core CPI?

22 MR. LARLEE: I am going to have to ask you to repeat the
23 question?

24 MR. MACNUTT: Thank you, Mr. Chairman. Just give me a
25 moment.

2 CHAIRMAN: We think there should be a rewording, Mr.
3 MacNutt.

4 MR. MACNUTT: We are trying to come up with it.

5 Q.1428 - I am restating the question from, would you not agree
6 that in New Brunswick All Item CPI is more sensitive to
7 the New Brunswick price for electricity than either the
8 Canada All Item CPI or the Bank of Canada Core CPI?

9 MR. LARLEE: Yes.

10 Q.1429 - Therefore by using the New Brunswick All Items CPI
11 rather than the Canada CPI as requested in the IR, the
12 results in the tables are distorted. The tables would
13 distort the New Brunswick electricity rates in comparison
14 to the broader based rate of inflation. Is that not
15 correct?

16 MR. LARLEE: I don't believe the results in the tables are
17 distorted. We chose the New Brunswick CPI because we
18 couldn't respond explicitly to the question originally.
19 And it has been our practice to use the New Brunswick CPI
20 in correcting and adjusting dollar values.
21 So because it is our practice because we feel that it is
22 the appropriate index.

23 Q.1430 - Isn't there an element of circularity in using the
24 New Brunswick CPI in this area?

25 MR. LARLEE: There may well be. But at the same time, using

2 the national index doesn't necessarily reflect price changes
3 in New Brunswick. We felt that it would be better to use
4 the New Brunswick index.

5 Q.1431 - Thank you. Now I am going to ask you to turn up
6 schedule 5.1 to Disco's class cost allocation study for
7 the fiscal year 2005/2006. It is in appendix 3 -- A-3,
8 excuse me, exhibit A-3, appendix 1, direct evidence of Mr.
9 Larlee.

10 I will repeat that. Exhibit A-3, appendix 1, to the
11 direct evidence of Mr. Larlee.

12 CHAIRMAN: Just a minute, Mr. MacNutt. Let us get the
13 volume down and then get to the rest of it please.

14 MR. MACNUTT: Thank you.

15 CHAIRMAN: And while we are doing that, Mr. Larlee, just
16 going back to the last series of questions. If you have
17 reason to believe that a CPI from New Brunswick is better
18 to use, then in the future use the CPI that the question
19 requests that you use and then provide the additional data
20 and explain why in your opinion the New Brunswick should
21 be used. Okay.

22 Rather than making the decision not to do it the way you
23 are asked to do it, then provide the additional
24 information. That makes it simpler for everybody.

25 MR. LARLEE: Very well.

2 Q.1432 - Yes. I think we were at exhibit A-3, appendix 1 to
3 the direct evidence of Mr. Neil Larlee. And we should go
4 to schedule 5.1.

5 Now the subtitle of this is "Supply cost classification
6 allocation power purchase agreements fiscal year
7 2005/2006". I would like you to go to column 4, which is
8 firm energy cost. And also look at column 5, which is
9 peaking energy cost.

10 Now I would like you to go to line 15 which provides the
11 total for each column. And you will find that the total
12 for column 4 is \$573,849,000. And the total for column 5
13 is \$1,190,000. Is that not correct?

14 MR. LARLEE: Yes, that is correct.

15 Q.1433 - Now you would agree with me that the total in column
16 4 reflects several different kinds of fuel, all of which
17 have different costs?

18 MR. LARLEE: Yes, that is correct.

19 Q.1434 - Now in column 5 you have chosen to separate one
20 element of energy cost. Is that not correct?

21 MR. LARLEE: Yes. I have separated out the highest cost
22 energy source.

23 Q.1435 - Why do you think it is fair to separate one element
24 and directly assign it to specific classes?

25 MR. LARLEE: In this case these energy costs are related

2 directly to gas turbines and gas turbines are only forecast to
3 be used during times of winter peak. And the winter peak
4 is directly related to the use of electric space heating.

5 So just using cost causation, I felt that it was a good
6 approach to assign those costs or allocate those costs,
7 rather, to the classes that had electric heat as part of
8 their load. That was my rationale and I think I have laid
9 it out in several IRs and I can give you those references,
10 if you like.

11 Q.1436 - Yes. Do you have them at hand or would you undertake
12 to get those?

13 MR. LARLEE: No, I have them at hand although I don't have -
14 -

15 Q.1437 - Well perhaps you would just read --

16 MR. LARLEE: -- the exhibit numbers.

17 Q.1438 - -- the reference numbers to us?

18 MR. LARLEE: All right. EGNB IR-16 from August 5th.

19 MR. MORRISON: A-17.

20 Q.1439 - Yes.

21 MR. LARLEE: UM IR-14 from July 14.

22 MR. MORRISON: A-11.

23 MR. LARLEE: And PUB IR-9 from July 14.

24 Q.1440 - What was the -- do we have the last exhibit number?

25 PUB IR-9, July?

2 MR. MORRISON: Exhibit A-11, I believe.

3 Q.1441 - A-11 as well. Thank you. Now I am going to ask you
4 to turn to the Disco's response to PUB IR-119, which is in
5 exhibit A-17.

6 CHAIRMAN: Do you want us to keep this other volume up, Mr.
7 MacNutt?

8 MR. MACNUTT: No, I don't think so, Mr. Chairman.

9 CHAIRMAN: Thank you.

10 Q.1442 - What we are looking for is PUB IR --

11 CHAIRMAN: Hang on just a sec'.

12 MR. MACNUTT: Okay. I will wait. Exhibit A-17, PUB IR-119.

13 Q.1443 - Now it is stated in that response that nonelectric
14 heat customers are allocated their share of annual
15 nonpeaking energy costs which includes energy consumed
16 during the time of the system peak.
17 The response also stated "The cost portion of energy
18 supplied by peaking units or purchases has been assigned
19 as 100 percent related to rate classes with electric heat
20 load. This reflects that electric heat load is the driver
21 of the system peak."

22 In the last sentence the statement is made that "Electric
23 heat load is the driver of the system peak."

24 What is meant by the use of the term "driver" in this
25 context?

2 MR. LARLEE: Well, as I alluded to earlier, the peak, the
3 wintertime peak occurs almost coincidentally with
4 residential heat. And it occurs at almost invariably at
5 the time of the coldest sustained weather.

6 So I think you can infer from that that the peak is driven
7 by electric heat load to the largest degree.

8 Q.1444 - Now do all members of rate classes to which the cost
9 of peaking energy and purchase is assigned have electric
10 heat load?

11 MR. LARLEE: If you are referring to the cost of the peaking
12 energy, yes, I have assigned it to the rate classes with
13 electric heat load.

14 Q.1445 - Thank you. Now perhaps I will just restate the
15 question again. Because we may have sort of misaligned
16 the question and answer. And I will restate it.
17 Do all members of rate classes to which the cost of
18 peaking energy and purchase is assigned have electric heat
19 load?

20 MR. LARLEE: Oh, I see what you are saying now. You are
21 saying the individual customers within the class. If all
22 of the individual customers within the class have electric
23 heat?

24 Q.1446 - Correct.

25 MR. LARLEE: No. No, they do not. I think we have got it

2 on the record that about 60 percent of our residential
3 customers have electric heat.

4 Q.1447 - Now how does Disco's cost allocation and rate design
5 methodology ensure that customers who do not have electric
6 heat, but belong to a class that has been assigned cost of
7 peaking and purchased energy, do not pay for the cost of
8 peaking and purchased energy?

9 MR. LARLEE: Disco can't do that. There is averaging in any
10 cost allocation study. And there is averaging in this
11 study. So within the class the costs are all averaged
12 between the customers.

13 Q.1448 - Do members of rate classes that are not assigned the
14 cost of energy from peaking units and purchases have
15 variations in their seasonal usage profiles that exhibit
16 higher usages during winter months?

17 MR. LARLEE: They may and they may not. I think I have said
18 before that, particularly in the general service class, it
19 is a very, very diverse class. And small industrial as
20 well.

21 Certainly there are small industrial customers that tend
22 to operate more in the summer than in the winter, just
23 simply because of the seasonal type of food processing
24 that they are doing. So some customers may and some
25 customers may not.

2 Q.1449 - Assuming that some do, please explain why they do not
3 pay a portion of the cost of peaking and purchased energy?

4 MR. LARLEE: Again the peaking cost is assigned that way
5 just to reflect the cost driver. The cost driver is
6 electric heat.

7 So within those classes, even though there may be some
8 seasonality to their load, there isn't a significant
9 amount of electric heat that would necessitate the
10 allocation.

11 CHAIRMAN: Mr. MacNutt, is this a good place for us to
12 break?

13 MR. MACNUTT: Yes, Mr. Chairman.

14 CHAIRMAN: How much longer do you think you will have
15 tomorrow, Mr. MacNutt?

16 MR. MACNUTT: Probably -- I would say an hour and a half to
17 two hours.

18 CHAIRMAN: We apologize to Rogers. Quite often if counsel
19 has an opportunity to review their notes and whatnot, they
20 find that their cross diminishes in length of time.

21 So I'm just wondering, is it an idea, or would you prefer
22 not to do so, that we tackle the Rogers thing first thing
23 tomorrow morning and then come back to your cross?

24 What is your preference, Mr. MacNutt?

25 MR. MACNUTT: Oh, I have no problems with breaking and then
26

2 coming back after Rogers.

3 CHAIRMAN: Mr. Morrison?

4 MR. MORRISON: I would have very, very little redirect,
5 Mr. Chairman, depending obviously. At this point I have very
6 little redirect depending on what comes out of
7 Mr. MacNutt's further cross. I'm not anticipating much more
8 anyway.

9 CHAIRMAN: Okay. What about us going ahead with Rogers in
10 the morning and then --

11 MR. MORRISON: Fine with me. I think that is okay, Dave
12 (Mr. Hashey)?

13 MR. HASHEY: It is no problem.

14 CHAIRMAN: And Rogers?

15 MR. ARMSTRONG: Thank you, Mr. Chairman. Yes, that is fine
16 with Rogers as well.

17 CHAIRMAN: Pardon me?

18 MR. ARMSTRONG: I said thank you, Mr. Chairman. Yes, that
19 is fine with Rogers as well.

20 CHAIRMAN: Okay. I would suggest -- I have no sense of the
21 timing. But Mr. Hashey was thinking out loud I think the
22 other day in saying that he couldn't see that argument
23 lasting much more than an hour or an hour and a half,
24 somewhere thereabouts?

25 MR. HASHEY: That was my sort of general thinking. I would
26

1

- 1372 -

2 expect the order -- we would be going first. You have already
3 heard part of the argument.

4 I intend to just deliver a short brief on what that was
5 but sort of summarize what was said. I don't intend to be
6 probably much more than half an hour.

7 MR. ARMSTRONG: Mr. Chairman, I can't speak for our legal
8 counsel. But I don't expect that she would be much longer
9 than that either.

10 CHAIRMAN: I would suggest that we break now and come back
11 at 9:30 tomorrow morning. And we will start off with the
12 Rogers' question.

13 And then after that is concluded we will continue with Mr.
14 MacNutt's cross and your direct, Mr. Morrison.

15 MR. HASHEY: Mr. Chairman, could I address one other issue
16 just so that I can get it on the record?

17 CHAIRMAN: You were nearly on the table earlier.

18 MR. HASHEY: Yes. Under the table not on the table. It was
19 exciting, wasn't it?

20 In any event, on a very serious note, I'm pleased to
21 report to the Board that the evidence on the revenue
22 requirements has gone for production if you like. And
23 what I would like to have from people is that -- we
24 believe that this will be sent out by courier on Friday.
25 Now we are looking at a long weekend.

26

1
2 And I have also checked with Ms. Clarke. And we at this
3 point sense that we could have, as you know, the English
4 version only at this point, because it has gone to
5 translation as well. We will be filing the translated
6 version in the normal course.

7 But there may be some Intervenors, since everything that
8 they are conducting is in English, that might like to have
9 that for the purpose of spending a wonderful Thanksgiving
10 weekend preparing Interrogatories.

11 But on a very serious note, that could be made available.

12 And if people want to go to the NB Power offices mid
13 afternoon Friday, we believe that it could be available,
14 rather than have it couriered.

15 And I would just ask that people give us an indication if
16 they would wish to pick it up rather than have it
17 couriered to them, so that we can get on with it.

18 And I would be hoping that by delivering this
19 substantially earlier than was initially scheduled that if
20 people do have Interrogatories that they want to pose on
21 that, they can pose them a little earlier if they like
22 than the designated date.

23 Because as you know, we are into a very tight schedule in
24 relation to the next portion of this hearing. In other
25 words, our answering to Interrogatory process completely
26

1
2 overlaps the finalization of this portion of the hearing, the
3 CARD portion.

4 So you know, we would not be objecting to receiving things
5 earlier, if some people want to send a few along or their
6 whole along. And we have got a crew that will get at
7 that. Because we do have the break in time in this
8 hearing which would give all of us time to deal with that
9 I think.

10 CHAIRMAN: Well, Mr. Hashey, the Board has always put forth
11 the notion of a last time date to ask a question, but
12 always encouraged that if anybody has them ready prior to
13 that time to send them out. And certainly that holds true
14 for the upcoming portion of the hearing as well.

15 Well, I suggest that parties that are prepared -- I
16 presume that offer was not the NB Power office on
17 Manawagonish Road, but rather the one in Fredericton.

18 MR. HASHEY: Unfortunately it is the one in Fredericton --

19 CHAIRMAN: Yes.

20 MR. HASHEY: -- Mr. Chairman. I'm sorry --

21 CHAIRMAN: I suggest that anybody who wants to can approach
22 you after. And Municipals are asking for the floor.

23 MR. GORMAN: Well, Mr. Chairman, to avoid a trip to
24 Fredericton, I'm going to assume -- but perhaps Mr. Hashey
25 can clarify this -- that it will be made available on

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25
26
27
28

Friday electronically in any event.

MR. HASHEY: We are going to have to tell you that in the morning. I don't know. We are checking on that. A good point. The intent was to post it Monday on the Internet. But I don't know if we can post it earlier or not.

CHAIRMAN: Well, you check on that?

MR. HASHEY: We probably can. And we will try.

CHAIRMAN: You check overnight and let us know?

MR. HASHEY: We can solve that tomorrow, we will all be here.

CHAIRMAN: Yes.

MR. HASHEY: I was concerned about raising this today because of some people might not be here for the Rogers portion. I was recognizing that, that is all.

CHAIRMAN: Okay.

MR. HASHEY: Thank you.

CHAIRMAN: All right. We will see you at 9:30 tomorrow then.

(Adjourned)

Certified to be a true transcript of
the proceedings of this hearing as
recorded by me to the best of my
ability.

Reporter