

NEW BRUNSWICK ENERGY AND UTILITIES BOARD

FILE SYSTEM
#2002-06-06-03
COPY TO:

IN THE MATTER OF an application by Enbridge Gas New Brunswick Inc. to change its Contract Large General Service LFO distribution rate

Held at the New Brunswick Energy and Utilities Board premises, Saint John, N.B., on February 13th 2008.

Henneberry Reporting Service

1 NEW BRUNSWICK ENERGY AND UTILITIES BOARD
2 IN THE MATTER OF an application by Enbridge Gas New Brunswick
3 Inc. to change its Contract Large General Service LFO
4 distribution rate
5 Held at the New Brunswick Energy and Utilities Board premises,
6 Saint John, N.B., on February 13th 2008.

7 BEFORE: Raymond Gorman, Q.C. - Chairman
8 Cyril Johnston, Esq. - Vice-Chairman
9 Edward McLean - Member
10 Steve Toner - Member
11 Robert Radford - Member

12 NB Energy and Utilities Board - Counsel - Ms. Ellen Desmond
13 Staff - Doug Goss
14 - John Lawton
15 - Dave Young

16 Secretary Ms. Lorraine Légère
17 Assistant Secretary - Ms. Juliette Savoie

18
19 CHAIRMAN: Good morning, everyone. We seem to have a little
20 bit of noise overhead. So we are going to see if we can
21 get them to discontinue that. But I think in the meantime
22 we will proceed unless it becomes a little bit too
23 difficult for recording purposes and whatnot.

24 I will take the appearances at this time starting with
25 the Applicant.

MR. HOYT: Len Hoyt and David MacDougall for Enbridge Gas
New Brunswick.

CHAIRMAN: Thank you, Mr. Hoyt. Atlantic Wallboard LP.
J.D. Irving Limited?

MR. STEWART: Chris Stewart and Sarah Price, Mr. Chairman.

1
2 CHAIRMAN: Thank you, Mr. Stewart. CME? Flakeboard Company
3 Limited?

4 MR. LAWSON: Gary Lawson, Mr. Chairman.

5 CHAIRMAN: New Brunswick Energy and Utilities Board?

6 MS. DESMOND: Ellen Desmond, Mr. Chair. And from Board
7 Staff, Doug Goss, John Lawton and Dave Young.

8 CHAIRMAN: Thank you, Ms. Desmond. And the informal
9 intervenors, I will see who is here this morning.
10 Canadian Restaurant and Food Services Association?
11 Competitive Energy Services? Department of Energy?
12 Ganong Bros. Limited? Public Intervenor?

13 MR. THERIAULT: Mr. Chair, Daniel Theriault.

14 CHAIRMAN: Mr. Theriault. And Sucor Limited?

15 Yesterday when we adjourned I guess we were awaiting
16 the outcome of the two undertakings from the Applicant. I
17 understand that those undertakings have been completed and
18 have been circulated to the parties?

19 MR. HOYT: Yes, Mr. Chair. I sent them by e-mail last
20 night. I had provided the Board Secretary with two copies
21 this morning. If there is anyone in the room that hasn't
22 got a copy, I have hard copies here if they would like
23 one.

24 CHAIRMAN: Thank you. Anybody here that needs a copy?

25 And I think we will mark the responses to those

1
2 undertakings as exhibits unless there is any objection
3 from anybody.

4 Then the response to undertaking number 1 will become
5 exhibit A-10. And the response to undertaking number 2
6 will become exhibit A-11.

7 Mr. Lawson, are you prepared to continue with your
8 cross examination?

9 MR. LAWSON: Yes, Mr. Chairman. Thank you.

10 MESSRS. CHARLESON, LEBLANC, BUTLER:

11 CROSS EXAMINATION BY MR. LAWSON (continued):

12 MR. LAWSON: I have just advise the Board with respect to
13 undertaking number 2 I think it more appropriate to just
14 deal with in argument. So I'm not going to pursue any
15 further line of questioning with respect to it.

16 CHAIRMAN: Thank you.

17 MR. LAWSON: But I do have I guess a number of questions
18 arising with respect to undertaking number 1.

19 Q.505 - First if I could get -- and I think from discussions
20 earlier I do have this. But perhaps for the record could
21 you explain what the budget column represents in this
22 under the 2008 column please?

23 MR. CHARLESON: Yes. The budget column represents the
24 budget that we had struck, our internal budget in late
25 September, early October.

1
2 So similar to the column 2001 through 2007 where they
3 are reflecting say the corporate forecast for those years.
4 The 2008 budget column was our corporate forecast prepared
5 at that time.

6 And as we indicated in the notes below, the rates that
7 were in there were set based on our assumptions based on
8 commodity pricing on October 4th.

9 Q.506 - So just so I understand it, prior to making this
10 application as part of your regular process, business
11 process, you prepared a budget for 2008, correct?

12 MR. CHARLESON: That's correct.

13 Q.507 - And at that time you presumably anticipated there
14 would be a rate increase?

15 MR. CHARLESON: We had presumed there would be a rate
16 increase for some of the classes, yes, for this class
17 definitely.

18 Q.508 - Okay. And for that purpose, for your internal budget,
19 you used the formula, if you will, that you have used for
20 this, only the data was used as of October 4th, is that
21 right?

22 MR. CHARLESON: That's correct.

23 Q.509 - And would the volumes under the budget item -- budget
24 column for 2008 be the same as the other two columns under
25 2008?

1
2 MR. CHARLESON: Yes. The volumes would be consistent for
3 all three of those columns.

4 Q.510 - And I haven't checked -- but I don't know if I could
5 check -- would the volumes be consistent with the
6 projected volume for 2008 in Roman Numeral V of follow-up
7 interrogatory number 1 of Flakeboard's?

8 MR. CHARLESON: Yes, they would.

9 Q.511 - Okay. So just so I can get a sense then, the "no
10 increases" column, could you explain what that represents?

11 MR. CHARLESON: That column represents the rates that would
12 be used if we hadn't applied for any increases either in
13 this application or in the application for the other
14 general service rates.

15 So what it will reflect, in the case of say the SGS RE
16 rate, it is showing the rate that was in place January 1
17 following the rate reinstatements that we had done in the
18 fall.

19 For the SGS RO down through the CGS -- through the
20 rest of the column would be the maximum rates that have
21 been approved by the Board.

22 Q.512 - So the "no increases" column again uses the same
23 volume as corresponds with Roman Number V for 2008?

24 MR. CHARLESON: Correct.

25 Q.513 - So just using the LFO tier 1 example, in 2007 you had

1
2 forecast a revenue of \$3.1 million roughly?

3 MR. CHARLESON: Correct.

4 Q.514 - And if no increases came in place as a result,
5 principally I presume of increased volume, or exclusively
6 perhaps I guess, your revenue would increase to \$4.1
7 million?

8 MR. CHARLESON: That's correct.

9 Q.515 - And cumulatively your revenue would change from \$21
10 million to \$28.6 million?

11 MR. CHARLESON: That's correct.

12 Q.516 - Okay. And the "applied for increases" column
13 represents again the same volume but using the rates that
14 have been request of this Board both in this application
15 and the other application, is that right?

16 MR. CHARLESON: That's correct.

17 Q.517 - Now I didn't cross-check. But I'm gathering that the
18 SGS RE class, there is no rate application for that
19 particular class?

20 MR. CHARLESON: That's correct.

21 Q.518 - And why is that?

22 MR. CHARLESON: At this time the rates that we are able to
23 charge, again using the market-based methodology for that
24 class, are below the maximum rate approved by the Board
25 for that class.

1
2 So until such time as say electricity rates increase
3 to a level that we would be at or above the maximum rate
4 or gas prices decrease to take us to that maximum rate,
5 there is no need to file an application.

6 Q.519 - And am I correct the "applied for increases" column
7 represents an entire year's revenue as requested as
8 opposed to implementing partway through a year?

9 MR. CHARLESON: No. This reflects the rates being
10 implemented on the dates requested in the application. So
11 for the general services classes it reflects the rates
12 being effective April 1st.

13 And for the LFO tier 1 class it reflects an increase
14 effective February 1st which is what was requested.

15 However, we recognize that we are past that date now.

16 Q.520 - So just before I get to some of the numbers here, the
17 budget item, you as normal course prepare a budget.

18 And would it be fair to say that after you decided,
19 sometime in late October or very early November to make an
20 application, this application for the rate increase for
21 the LFO class, would you have revised that budget?

22 MR. CHARLESON: No. We would have -- that would be our
23 budget that is struck for the year and that gets approved
24 by our board of directors.

25 However, any time that we develop a budget, one of the

1
2 risks that is always identified in our budget is market
3 volatility and commodity pricing risk.

4 So we always clearly identify that revenues could be
5 impacted positively or negatively by changes in market
6 conditions.

7 Q.521 - Do you have -- the financial statements for 2006 that
8 we reviewed yesterday, they identified a column called
9 "Total expenses for 2006", is that right?

10 Do you know what that budgeted number is for 2008 in
11 your budget?

12 MR. LEBLANC: I don't know offhand, no.

13 Q.522 - I will get into that perhaps in a few minutes then.

14 Do you have that available here this morning?

15 MR. LEBLANC: I can call and get it. I don't have it here.

16 Q.523 - So if I might just take a look at the calculations
17 here, the figures that we have in this undertaking number
18 1 response.

19 The revenue increase, looking at your forecasts, for
20 all of the applications for rate increases that you are
21 contemplating, appears to intend to generate, or
22 anticipated for this year to generate about \$8.9 million
23 in total additional revenue, is that right?

24 MR. CHARLESON: Yes, roughly.

25 Q.524 - And when I look at the tier 1 rate, it would be

2 correct to say that it is about \$3.4 million that that one
3 particular class is going to increase?

4 MR. CHARLESON: That's correct.

5 Q.525 - There are 20 customers in the LFO class?

6 MR. CHARLESON: That's correct.

7 Q.526 - And you expect to have in 2008 11,281 customers? And
8 I get that number off Roman Numeral --

9 MR. CHARLESON: That's correct.

10 Q.527 - -- number IV for 2008?

11 So 20 customers, you are looking to increase by
12 additional revenue of \$3.4 million. And the other 11,260
13 customers roughly will contribute the remaining part?

14 MR. CHARLESON: Again, based on the market conditions that
15 is what the rates deliver.

16 Q.528 - And I just did some quick calculations. Now again
17 math isn't my strong suit. But I believe that 20/11,300
18 represents about either .2 percent or .02 percent. I
19 always get confused with the decimal point.

20 MR. CHARLESON: I think the challenge you face though is you
21 can't look at in terms of number of customers. It is
22 through-put, consumption. But yes --

23 Q.529 - I will get to that.

24 MR. CHARLESON: -- 20 out of -- that is a very small
25 percentage.

1
2 Q.530 - It is significantly less than 1 percent, correct?

3 MR. CHARLESON: Yes.

4 Q.531 - The revenue increase that you are seeking though is,
5 if my math is correct, 38 percent of the revenue increase
6 requested will come from the .2 or .02 percent of the
7 customers, correct?

8 MR. CHARLESON: With some trepidation I will accept your
9 math, subject to check.

10 Q.532 - Yes. And that would be -- roughly the numbers are
11 correct?

12 MR. CHARLESON: Yes.

13 Q.533 - New through-put is a significant issue?

14 MR. CHARLESON: Obviously volumes consumed are a large part
15 in terms of the revenue that is generated by a customer.
16 So as a certain class of customer is significantly higher
17 volumes, then obviously they are going to play a larger
18 role in terms of the revenues for the business.

19 Q.534 - So are you suggesting that costs -- because the cost
20 is higher for larger volumes that it has to be reflective
21 of that?

22 MR. CHARLESON: Again our rate-setting methodology at this
23 time is market-based rates. It is not -- there is no cost
24 relationship there, so --

25 Q.535 - So volume really doesn't matter?

1
2 MR. CHARLESON: Volume does matter. Because the revenues
3 that occur are driven by the volumes that are consumed and
4 the rates that are applied to those volumes.

5 Q.536 - Even if we just grant you that, could you take me
6 through the calculations of what the tier 1 volume is as a
7 percentage of total through-put volume you expect for the
8 year?

9 MR. CHARLESON: Again if we look at table 5 in that response
10 where it is showing the 1522, that is about 24 percent of
11 the total volume.

12 Q.537 - Right. So it is 24 percent of the total volume versus
13 the 38 percent of the total revenue increase which you are
14 seeking, correct?

15 MR. CHARLESON: Correct.

16 Q.538 - So if you use -- if the number of customers is less
17 than 1 percent, you use the volume, the through-put 24
18 percent. But in both cases the revenue increase request
19 is 38 percent of the total revenue increase, correct?

20 MR. CHARLESON: Yes. Based on the rates that were in place
21 for 2007 and what the market conditions will allow for in
22 2008, that is correct.

23 Q.539 - Now I would just like to go through the bottom line
24 figure for each of the years, again in undertaking number
25 1, document A-11.

1
2 And I would just like to compare, if we could, in each
3 of those years to numbers again in undertaking number 1
4 follow-up of Flakeboard's, page 3 of 4, Roman Numeral III.

5 And I have -- and perhaps you can check as I go
6 along -- but I have written down here -- the answers on
7 undertaking number 1 are forecasted numbers, correct?

8 Each year you did a forecast for the succeeding year.
9 And these numbers represent the forecast done in for
10 example 2000 for 2001, is that right?

11 MR. CHARLESON: That's correct.

12 Q.540 - And Roman Numeral III in IR number 1 follow-up
13 represents the actual, correct, the actual revenue?

14 MR. CHARLESON: That's correct.

15 Q.541 - So if I could just take you through. When I do the
16 comparisons, in 2001 there was -- the total revenue was
17 approximately \$2 million forecast?

18 MR. CHARLESON: That's correct.

19 Q.542 - And in fact it is \$183,000?

20 MR. CHARLESON: Yes.

21 Q.543 - And in 2002 it is 2.1 million forecast and came in at
22 \$1.2 million roughly?

23 MR. CHARLESON: Yes.

24 Q.544 - And then in 2003 you had forecast \$7.9 million?

25 MR. CHARLESON: Yes.

1
2 Q.545 - And in fact it came in at 2,400,000?

3 MR. CHARLESON: Yes.

4 Q.546 - Significantly less, correct?

5 MR. CHARLESON: Yes.

6 Q.547 - And then in 2004 you had forecast 7.4 million and you
7 came in at 3.7 million. Closer, but still only halfway
8 there, correct?

9 MR. CHARLESON: Yes.

10 Q.548 - 2005 you got a little closer, correct? 10,000,000 you
11 had forecast. And you got a little over \$7 million?

12 MR. CHARLESON: Yes. As we gained more experience and as
13 some of the market rules changed, it improved our ability
14 to achieve our forecast. But obviously we were still
15 coming up shorter than what we had hoped for.

16 Q.549 - Now you should be commended, in 2006, some would say
17 as a result of a generous rate increase, your projections
18 came true. In fact your dreams came true. You exceeded
19 projections. You got \$12,362,000?

20 MR. CHARLESON: Again as we gained more experience in the
21 business our ability to forecast has improved.

22 Q.550 - So then I guess you must have lost some experience
23 between 2006 and 2007?

24 MR. CHARLESON: No. Again there were some rate impacts.

25 Because we did apply rate riders in 2007 that led to lower

1
2 revenue.

3 Because market conditions had shifted in the early
4 part of 2007. And that impacted some of our revenue. And
5 then again some of our customer growth was slower than
6 anticipated.

7 Q.551 - So in that year you had projected \$21 million in
8 revenue. And in fact it came in at close to \$18 1/2
9 million?

10 MR. CHARLESON: Correct.

11 Q.552 - Now these figures that we are looking at in
12 undertaking number 1, would they be the same numbers that
13 were submitted to your board that approved your budget we
14 talked about, that is called "budget" column here?

15 MR. CHARLESON: In terms of the forecast numbers?

16 Q.553 - Yes.

17 MR. CHARLESON: Yes, it would have been.

18 Q.554 - So you advised your board in September, October or
19 sometime at least anyway, when you prepared this budget
20 column, that you anticipated total revenues of roughly
21 \$32.5 million?

22 MR. CHARLESON: That is right, highlighting the risks
23 associated with commodity pricing.

24 Q.555 - And when was that presentation to the board roughly?

25 MR. CHARLESON: Roughly that would be in the late part of

1
2 November.

3 Q.556 - Late part of November?

4 MR. CHARLESON: Correct.

5 Q.557 - And this application was made November 5th?

6 MR. CHARLESON: Correct.

7 Q.558 - So you presented your anticipated revenue stream to
8 your board as \$32.5 million?

9 MR. CHARLESON: We presented it at that time. Because again
10 we prepare a budget. And it is a total corporate budget.
11 It has a large number of elements to it. And you develop
12 that budget. And you struck on a certain date.

13 In providing that budget to your board, you provide
14 all the explanations associated with what is underpinning
15 that budget. At the same time, in that board meeting, we
16 also identify for our board current circumstances in
17 situations that we see.

18 So at that time we also updated them, that we did have
19 an application before the board for an increase to this
20 rate and that, you know, that had potential for additional
21 revenues.

22 But again highlighting that that was based on current
23 market conditions for commodity pricing, and that that
24 continues to be a risk that this business faces, that if
25 those market conditions change the revenues could be

1
2 affected positively or negatively.

3 Q.559 - The board approved a budget, at least this revenue
4 component of the budget?

5 MR. CHARLESON: They approved all elements of the budget.

6 Q.560 - And in that approved budget they were -- you were
7 anticipating and they approved approximately a \$4 million
8 rate increase for 2008, increase in revenue, sorry?

9 MR. CHARLESON: They approved a budget that included
10 assumptions of \$4 million in additional revenue, correct.

11 Q.561 - And that was prepared in late September. Or
12 presumably it must have been sometime in October?

13 MR. CHARLESON: The first week of October it was finalized.

14 Q.562 - You used October 4th date --

15 MR. CHARLESON: That's right.

16 Q.563 - -- for pricing?

17 MR. CHARLESON: We had been developing a lot of the budget
18 components through September. But it was -- we were
19 finalizing it the first week of October. And that is why
20 we were able to use the October 4th pricing.

21 Q.564 - So you used October 4th pricing. And you came up with
22 a \$4 million increase. And then an application made on
23 November 5th.

24 I don't know when the numbers were calculated. An
25 application made a month later or less. You got another

1
2 4' -- almost \$5 million in revenue, correct?

3 MR. CHARLESON: No. The application that was made on
4 November 5th, based on November 1 data, didn't give the
5 full \$5 million. It would have given the additional \$1.2
6 million in the LFO class.

7 Because we hadn't filed an application for the other
8 rates. That wasn't filed until mid to late December, and
9 which you use market conditions closer to that point in
10 time.

11 Q.565 - So you anticipated \$6.3 million in budget. Then a
12 month later you, just by virtue of the application, timing
13 of the application, another 1 point -- almost \$3 million
14 in revenue, correct, additional revenue that you hadn't
15 budgeted for in the LFO class?

16 MR. CHARLESON: That's correct.

17 Q.566 - Now I would like to go back to this question I asked
18 earlier with respect to sort of your total expenses
19 component for the year of 2008.

20 I'm just -- the numbers that I have just extracted
21 from the -- I didn't, somebody helped me do -- extracted
22 from the various financial statements you have, identified
23 the 2003 total expenses as roughly \$12.7 million, 2004 as
24 \$17.5 million, 2005 as \$19.5 million. 2006, as we pointed
25 out yesterday, dropped a bit to \$18.5 million roughly.

1

Do those numbers appear correct to you?

2

MR. CHARLESON: Just give us a moment.

3

MR. LEBLANC: Can you repeat, sorry?

4

Q.567 - Sure. 12.7 -- this is from 2003 forward -- 17.5, 19.5
and 18.5.

5

6

MR. LEBLANC: Certainly the last -- I recall the last two
from the -- that is correct.

7

8

Yes. They are all correct.

9

Q.568 - And the 2005, 2006, 2000' -- I'm sorry, '4, '5 and '6
were all sort of in roughly the same neighborhood, a
million dollars give or take, 18', 19', \$17 million,
right?

10

11

12

13

Would it be fair to say you would assume that the
expenses in 2008 would probably be in that same
neighborhood?

14

15

16

MR. LEBLANC: In the same -- well, define neighborhood. But
yes, it would be in the same --

17

18

Q.569 - 18', \$19 million?

19

MR. LEBLANC: Perhaps 20', 21', that would be -- I'm not
sure. I can get that exact number for you if you would
like.

20

21

22

Q.570 - What would be -- what sort of items would you expect
would escalate between 2006, 2008, on any order of
magnitude, other than each of the extra pencils because

23

24

25

1
2 they cost more?

3 MR. LEBLANC: I guess I hesitate to answer that without
4 doing a bit of looking.

5 Q.571 - Well, what are the big parts of your operating costs,
6 larger chunks of your operating costs?

7 MR. LEBLANC: O&M, which I would anticipate would stay
8 relatively stable. I see increases in amortization of
9 plant. I see increases in interest costs and increases in
10 amortization and development costs.

11 But as to the magnitude, I can't tell you without
12 talking to some of my people in the office.

13 Q.572 - Okay. Increase in amortization of plant --

14 MR. LEBLANC: Yes.

15 Q.573 - -- what would cause that to increase?

16 MR. LEBLANC: Increased investment in pipe in the ground.

17 Q.574 - The more pipe you lay the more you have amortized over
18 the 41 year life? Is that what it is? What is the life
19 of the pipe that you --

20 MR. LEBLANC: The actual main is 41 years. 2.43 percent.

21 Q.575 - And what about the laterals?

22 MR. LEBLANC: That would be considered main in my --

23 Q.576 - Okay. What about the other stuff using a technical
24 term?

25 MR. LEBLANC: Three is a series of other rates. Actually

1
2 they may be in the statements that we can -- just let me
3 see if I can --

4 Q.577 - That is all right. If you don't have it right off
5 that is fine.

6 MR. LEBLANC: Anyway, they would be less -- or more quickly.

7 Q.578 - The interest cost presumably because you are borrowing
8 more money for investments -- or for incentives and other
9 purposes.

10 You need more cash, you need to pay more interest for
11 the cash, is that right?

12 MR. LEBLANC: Correct. Investment in capital and in
13 development of the industry requires capital. And our
14 current debt to equity is 50/50. And therefore half is
15 financed through debt.

16 Q.579 - And for example the roughly \$20 million of incentives
17 that you are going to put in in 2008 needs cash, correct?
18 10,000,000 is what you have to borrow in order to be able
19 to give the money as incentives?

20 MR. LEBLANC: We will need money to complete the plans for
21 2008. Some money will come from operations. And others,
22 yes, will come from further debt or equity funding.

23 Q.580 - So you only have so much in the pool. And you need to
24 borrow money because you are giving -- for example \$20
25 million in incentives, that has to come in cash to

1
2 somebody, right?

3 MR. LEBLANC: Yes. This is one of the expenses.

4 Q.581 - And the interest -- I think you said -- interest in
5 the amount of development costs. Is there interest on
6 that?

7 MR. LEBLANC: No. It is amortization.

8 Q.582 - Oh, it is just the amortization on development costs.
9 That is the amortization of principally the incentives?

10 MR. LEBLANC: I wouldn't say principally. But incentives
11 are certainly included in the number.

12 Q.583 - So as you give more money to the customers, that
13 number goes up every year. Any year you give more money
14 to the customer as incentive, that number goes up?

15 MR. LEBLANC: Anytime we invest in the development of the
16 industry, yes.

17 Q.584 - And the way you invest in the development of industry
18 is by giving money to customers called incentives?

19 MR. LEBLANC: We do use incentives in order to incent
20 customers, which also bring revenue which is important to
21 the long-term development of the company.

22 Q.585 - Do you give money to customers for any other reason?

23 MR. LEBLANC: No.

24 Q.586 - For the next line of questioning, Mr. Chairman, I
25 would like to see if we could get -- can we quickly get

1 the number for your budgeted 2008 operating costs?

2 MR. LEBLANC: Yes.

3 MR. LAWSON: Could we take just a two-minute break or three-
4 minute break --
5

6 CHAIRMAN: How long would it take --

7 MR. LAWSON: -- or whatever it takes?

8 MR. LEBLANC: Well, if I can get the person on the phone,
9 two minutes would be sufficient, but five maybe.

10 CHAIRMAN: We have never had two-minute breaks. We will
11 take a short recess and allow you to get that information.

12 (Recess - 10:00 am. - 10:30 am.)

13 CHAIRMAN: Okay. Were you able to get the necessary
14 information during the break?

15 MR. LEBLANC: Yes.

16 CHAIRMAN: So Mr. Lawson, are you ready to proceed?

17 MR. LAWSON: Thank you, Mr. Chairman. Yes.

18 Q.587 - So could you tell me what you did learn with respect
19 to the budgeted operating costs for 2008?

20 MR. LEBLANC: Just a couple of caveats around the number.
21 First of all, we don't actually prepare our regulatory
22 budget. And there are some differences between our
23 regular budget and our regulatory budget.

24 However this number will directionally very close to
25 what you are looking for. The number that we came up with

1
2 is 22.7 million. Like I say, that could be plus or minus
3 half a million maybe, but --

4 Q.588 - Now let me sort of work backwards if I could. Looking
5 at the AWL interrogatory number 2 follow-up --

6 MR. LEBLANC: Yes.

7 Q.589 - -- it is the one that identifies the additions,
8 reductions to deferral account on a yearly basis starting
9 in 2000, the amount forecast -- and that is in A' --

10 CHAIRMAN: A-6 is it?

11 MR. LAWSON: A-6 follow-up, yes. Thank you, Mr. Chairman.

12 CHAIRMAN: That is AWL number 2?

13 MR. LAWSON: 2.

14 CHAIRMAN: And what page, Mr. Lawson?

15 MR. LAWSON: Sorry. Page 2 of 3.

16 Q.590 - At the bottom of the page it identifies the yearly
17 additions or reductions to the deferral account.

18 I see in 2008 you forecast \$7 million, roughly \$7
19 million?

20 MR. LEBLANC: Correct.

21 Q.591 - And does that -- I thought I heard yesterday that that
22 didn't reflect any of the requested increase, is that
23 right?

24 MR. LEBLANC: That number is derived from the budget.

25 Q.592 - Okay. That was the question. So it is derived from

1
2 the budget?

3 MR. LEBLANC: Yes.

4 Q.593 - So if we look at the budget item in undertaking number
5 1, you had a revenue stream of \$32 million forecast?

6 MR. LEBLANC: Yes.

7 Q.594 - And then if all the increases you have sought are
8 granted, then you would have another \$5 million in
9 additional revenue, correct?

10 MR. LEBLANC: Yes, based on the through-put that was in the
11 budget, yes.

12 Q.595 - Right. So your budgeted number would be \$5 million
13 higher.

14 So that would move your 2008 forecast with -- as
15 anticipated, if the increases went in as you had hoped,
16 down to about \$2 million, is that right?

17 MR. LEBLANC: The deferral, is that what you are asking?

18 Q.596 - I'm sorry. The deferral account addition for 2008?

19 MR. LEBLANC: Yes.

20 Q.597 - And that would, I would submit, barring some very
21 significant unforeseen circumstances, mean that 2009 you
22 would be in the money or start having the advantage of
23 making reductions for deferral accounts, correct?

24 MR. LEBLANC: Assuming market conditions turn out exactly as
25 the budget -- or as the rates as applied, and we could

1 charge full rates for that entire time, absolutely.

2
3 Q.598 - And with that in mind, I presume you are already
4 making an application, preparing an application for the
5 end of the development period?

6 MR. CHARLESON: No, we are not.

7 Q.599 - You are not?

8 MR. CHARLESON: No. And again I think -- again the
9 development period is approved currently through the end
10 of 2010.

11 I think if you look at the response to Flakeboard
12 interrogatory number 10, we talk about some of the factors
13 that would signal the end of the development period. And
14 it is beyond -- it is not strictly the deferral account --
15 or addition to the deferral account.

16 Q.600 - So you anticipate the possibility, do you, that you
17 might actually be reducing the deferral account but not
18 view that you should end the development period?

19 MR. CHARLESON: That's correct. Again looking at the
20 response to that interrogatory -- and it may be helpful to
21 turn that up. So that was Flakeboard interrogatory number
22 10. And it was part 3 of that response.

23 Q.601 - Now could you reconcile with me --

24 MR. CHARLESON: I guess I'm just letting the Board turn that
25 up --

1
2 Q.602 - Oh, I'm sorry.

3 MR. CHARLESON: -- so I can finish my response.

4 So in that response we do indicate that, you know, one
5 of the principal drivers to reaching the end of the
6 development period is to grow the business and increase
7 customer attachments. And that would obviously be the
8 point where you are able to be profitable.

9 But you also have to look at other factors such as
10 maturity of the energy services marketplace, market share,
11 product awareness. Because it's one thing to get to the
12 point where you are profitable.

13 But if you turn -- if the market hasn't matured to the
14 appropriate extent, you may be profitable one year, but
15 then the awareness isn't there or the customer capture
16 doesn't stay there and you start to lose market share.

17 So it has to be sustainable profitability in that the
18 market has matured. So there are some other say
19 nondollar-related items that will also be factored into
20 that.

21 And I believe in the decision, the last decision
22 regarding the extension of the development period, it was
23 indicated that there were a number of factors that would
24 have to be considered.

25 And it is our belief at this point in time that a

1
2 number of those other factors aren't in place yet and that
3 would not drive us to be bringing forward an application
4 for the end of the development period.

5 Also in the Board's January 18th decision where the
6 Board has provided direction around the steps toward
7 looking at cost of service, that is one of the elements
8 that will also have to be looked at to see whether the
9 cost of service rates that can be arrived at remain
10 competitive.

11 It is one thing where the total revenues that you can
12 achieve under market-based rates may exceed your cost, so
13 that you are no longer contributing to the deferral
14 account.

15 But when you go in and look at the cost of service you
16 may find that the residential rate under the cost of
17 service, cost allocation study basis would raise the rates
18 by say 30, 40 percent.

19 We don't know. We haven't done that analysis. But it
20 could make some of those rates uncompetitive, in which
21 case you are going to lose market share and not be able to
22 continue to grow the basis. So it is not a simple math of
23 looking at everything in aggregate.

24 Sorry, that is a lengthy answer to I think what you
25 hoped was a fairly straightforward question.

1
2 Q.603 - Well, am I correct in saying that of the factors that
3 go in -- that you have identified as to what should end
4 the development period, there is only really one that is
5 readily quantifiable and has a benchmark, and that is that
6 you are no longer adding the deferral account but instead
7 are reducing the deferral account?

8 MR. CHARLESON: No. I would say the other factor that I
9 identified is that the rates that would be arrived at in a
10 cost of service model would be market competitive.

11 Q.604 - So have you done any analysis in that regard to know
12 whether they would be market competitive?

13 MR. CHARLESON: No. Because that would require doing a cost
14 study. And that hasn't been done as yet.

15 Q.605 - So when is it you plan to make an application to end
16 the development period at this point?

17 MR. CHARLESON: At this point in time the development period
18 is approved to continue through to the end of December
19 2010. And we expect that you have to make an application
20 to address the end of the development period at some point
21 leading up to that.

22 If I recall correctly from the Motions Day, I think we
23 talked about some point in time in late 2009, something
24 like that would need to occur. But I'm going from memory.
25 And that is not always the most reliable source.

1
2 Q.606 - The development period as approved by this Board or
3 the Public Utilities Board in 2005, the extension was to
4 December 31st 2010, correct?

5 MR. CHARLESON: That's correct.

6 Q.607 - But -- and I'm going to read from it. You don't have
7 a copy of it. And I don't have copies for everybody. But
8 in the development period portion of the decision of that
9 Board dated December -- sorry, January 21st 2005, the
10 first sentence says, the Board finds it appropriate to
11 extend the development period to December 31st 2010.
12 Should Enbridge find that the full extension to the
13 development period is not required, it must apply to the
14 Board for approval of an earlier end date for the
15 development period.

16 So we now know from what you said that if this rate
17 request was granted, that you will be no longer adding
18 money to the deferral account -- adding amounts to the
19 deferral account next year, correct?

20 MR. CHARLESON: Correct.

21 Q.608 - Conceivably --

22 MR. CHARLESON: Conceivably. Again assuming market
23 conditions continue to support the rates that have been
24 requested.

25 Q.609 - Conceivably this year?

1
2 MR. CHARLESON: Conceivably. But again it is all driven by
3 market conditions. And I don't -- again given the numbers
4 we are seeing there, I think that would be a stretch.

5 Q.610 - And the only other variable, did I understand you to
6 say, is this analysis of whether cost-based support allow
7 you to generate enough revenue?

8 MR. CHARLESON: That is the only one that you will accept as
9 being quantifiable.

10 Q.611 - Okay. Is that the only one that you would agree is
11 quantifiable?

12 MR. CHARLESON: Yes. But there are other factors that have
13 to be considered.

14 Q.612 - But you haven't done anything with respect to it to
15 know whether or not that one makes sense?

16 MR. CHARLESON: No. That's correct. Because it is only
17 until recently that the market conditions have moved to
18 the point that it would bring that point of the revenues
19 exceeding our cost into the time period that is before the
20 end of the approved development period.

21 And it takes time and effort to do that cost study.
22 And again it is something that we have indicated was in
23 our plans to be starting to address within 2008. And we
24 will continue to proceed on that path.

25 Q.613 - So will you agree that if that analysis results in

1
2 what appears to be at least arguably supportable on the
3 quantification of second piece rather than the deferral
4 account, that you will be applying to the Board this year?

5 MR. CHARLESON: That makes the assumption that the cost
6 study is completed this year. But if upon completing the
7 work on the cost study, and there is a process that is
8 going to be defined in terms of how that is approached, if
9 we found from that that it looked like on the quantifiable
10 basis, then we would have to look at those other factors
11 to determine.

12 And if we felt it was appropriate to end the
13 development period sooner, then yes, we would bring
14 forward an application.

15 Q.614 - So your view is that the determination of whether or
16 not you should make an application is yours and nobody
17 else's? You should end it before December 31st 2010?

18 MR. CHARLESON: Again I'm going from the wording that you
19 read from the Board's decision. It did indicate that, you
20 know, if we determined that it is warranted.

21 So consistent with that decision, you know, we would
22 again assess the situation and make that determination and
23 bring forward an application if we believed it was
24 appropriate.

25 Q.615 - And if you don't think it is appropriate how will

1
2 anybody know whether or not what your analysis results in
3 to challenge you on the question?

4 MR. CHARLESON: Again my understanding is from the decision,
5 the January 18th decision on the motion, is that the
6 process for looking at the cost study and the cost
7 allocation is to be done with input from interested
8 parties.

9 So I would assume interested parties will have the
10 opportunity to see the results of that.

11 Q.616 - Thank you.

12 Just going back to this forecast figure in the AWL
13 interrogatory number 2 follow-up, page 203, the
14 forecasting to the deferral account, the 2008 figure you
15 have identified as the budget figure.

16 The 2009 figure, what is used for the revenue stream
17 for the calculation of having it down to a million
18 dollars?

19 MR. LEBLANC: The 2009 number assumes the same rates
20 continue as is in the 2008.

21 Q.617 - Budget?

22 MR. LEBLANC: Correct.

23 Q.618 - So if you get \$5 million worth of extra revenue over
24 budget in 2008 as forecast and then you annualize it,
25 clearly you will be in the money significantly, I would

1
2 submit, by 2009, is that -- assuming all other things
3 remain equal and --

4 MR. CHARLESON: Yes.

5 Q.619 - -- the business doesn't take off like crazy or drop
6 like crazy?

7 MR. CHARLESON: Yes.

8 MR. LAWSON: Those are all the questions I have. Thank you,
9 Mr. Chairman, members of the Board. Thank you, panel.

10 CHAIRMAN: Thank you, Mr. Lawson.

11 MR. LAWSON: I'm sure that probably my learned friend
12 Mr. Stewart would like to ask a few questions.

13 MR. STEWART: With respect to the documents provided as part
14 of the undertaking, Mr. Chairman.

15 CHAIRMAN: Come forward.

16 MR. STEWART: Just a couple of brief questions.

17 CHAIRMAN: I'm assuming your questions are related to
18 exhibits from this morning.

19 MR. STEWART: Yes, exhibit A-10.

20 CROSS EXAMINATION BY MR. STEWART:

21 Q.620 - I just wanted to clarify one point. When we are
22 looking at these numbers, I want to make sure that we are
23 kind of comparing proverbial apples to apples here.

24 I believe I heard you tell Mr. Lawson that the total
25 under the column "applied for increases" for 2008. I

1
2 assume that the rate increases you obtained weren't
3 annualized.

4 In other words, you only included in the effect of the
5 rate for the lower rate classes from April 1, 2008 to
6 December 31, 2008?

7 MR. CHARLESON: That's correct. Because it is a forecast of
8 2008 revenue. And that forecast can only incorporate the
9 raised one we believe that can be in place.

10 Q.621 - Fair enough. And equally I think you said that the
11 forecast was on the basis that the rate sought in this
12 application would be in effect as of the end of February,
13 is that right?

14 MR. CHARLESON: Actually it was February 1st.

15 Q.622 - February 1st?

16 MR. CHARLESON: Because that was the requested date in the
17 application.

18 Q.623 - Right. So then the total there -- okay, let's go
19 back. Your "no increases" column total of 28,608, that is
20 a 12-month period based on no increases for 2008?

21 MR. CHARLESON: Yes. It is 28 million 6008.

22 Q.624 - So what -- and I'm going to do the arithmetic. The
23 difference between what you will in theory generate or
24 what your forecasting will generate in 2008 with and
25 without the increase, as you do the math, that is \$8.975

1 million?

2
3 MR. CHARLESON: Yes, assuming approval from the Board and
4 the market conditions throughout the remainder of 2008
5 support the rates as applied for.

6 Q.625 - Okay. So what is the difference on an annual basis?
7 How much is that number going to increase, if we look at
8 how much more you are going to make per year, if this rate
9 increase goes forward?

10 And I did the math. But I confess I did it on the
11 basis of my number for -- my number for the LFO rate
12 increase has actually got to be divided in two, because I
13 thought you were doing it for two months.

14 So that would be -- let me just get my calculator and
15 I will do that.

16 MR. CHARLESON: Mr. Stewart, I believe it is going to be
17 difficult to kind of just do some rough math off the
18 numbers there, especially when you look at the general
19 service rate classes.

20 Because the demand throughout the course of the year
21 is obviously very heat-sensitive. So it is not kind of
22 equally apportioned into all 12 months.

23 Q.626 - All right. But humour me. I did the math. And that
24 comes up to an additional annualized revenue. All right.
25 You can do the math. You can look at the effect of the

1 revenue from April 1, 2008 to April 1, 2009 if you want.

2 But that comes up to another \$6.248 million in
3 revenue. Does that sound correct?
4

5 MR. CHARLESON: I couldn't say.

6 Q.627 - And so if we added that to the \$8.975 million there is
7 going to be a difference of over \$10 million on an annual
8 basis between what you would make without the rate
9 increases and what you are going to make with the
10 increases.

11 Is that a fair assessment?

12 MR. LEBLANC: What are you comparing now?

13 Q.628 - Well, I'm comparing the 28.608 million which is your
14 projected revenue for 2008 without any rate increase,
15 right.

16 And then I annualized the effect of the current
17 increases in all the rate classes that you have applied
18 for now.

19 And I say that that ball park is about a \$10 million
20 increase in your revenue per year annualized?

21 MR. CHARLESON: I think that is probably a reasonable ball
22 park.

23 Q.629 - Okay. And you were projecting adding \$7.117 million
24 to your deferral account for 2008?

25 MR. CHARLESON: Correct.

1
2 Q.630 - So the effect then of this rate increase will mean
3 that at a minimum the 8.9 increase you are expecting will
4 more than cover your deferral account contribution,
5 correct?

6 MR. CHARLESON: Again that 8.9 is not -- again the increase
7 in comparison to what underpinned that 7,000,000 was the
8 budget, which was \$32.5 million. So you are looking at --
9 you know, it is say \$5 million and not the \$8 million that
10 you suggested.

11 Q.631 - Okay. Well, if I compare it to your budget number
12 that is an increase, on an annualized basis, of 7.0 -- a
13 little slightly less than \$7 million?

14 MR. CHARLESON: That one I'm struggling a bit. You know, I
15 accepted say the ball park of the 10,000,000 and no
16 increase for supply.

17 Q.632 - Okay. So you got 10,000,000 between 28.6 in your
18 revenue annualized?

19 MR. CHARLESON: Yes.

20 Q.633 - So you are going to have a little more than 6,000,000
21 I guess between --

22 MR. CHARLESON: That I could accept.

23 Q.634 - -- your budget number --

24 MR. CHARLESON: Yes.

25 Q.635 - -- and the revenue that you will obtain if the

1
2 increase goes forward?

3 MR. CHARLESON: Again I can accept that as a ball park.

4 Q.636 - Right. So as of the end of this year you should be
5 able to have zero contributions to your deferral account
6 if you obtain your increase?

7 MR. CHARLESON: Assuming that market conditions don't
8 change. And as we have indicated earlier, that is one of
9 the most significant risks to our revenue stream.

10 Q.637 - Right. And as you indicated in your opening
11 statement, in fact market conditions at least so far are
12 even more favorable for you, right?

13 MR. CHARLESON: Correct. But again we have also seen I
14 think from some of the evidence of your expert, it has
15 shown that the spread has been closing back in.

16 And you know, so if that trend were to continue then
17 we may not be able to have the rates at the applied-for
18 level. And a rate rider may have to be applied.

19 Q.638 - Right. But I think you could even -- you could get a
20 spread of some 27 percent and still be where you are
21 today.

22 You could get a reduction in the spread by 27 percent
23 and still be where you are today, right? Still meet your
24 target discount?

25 MR. CHARLESON: Sorry?

1
2 Q.639 - Isn't that what you told us in your opening statement
3 that, you know, you could charge even 20 percent more if
4 you used today's numbers?

5 MR. CHARLESON: Yes, that's correct, in terms of it.

6 Q.640 - Right. So even if the market goes 27 percent worse
7 than it is today you will still make these numbers on the
8 rate increase?

9 MR. CHARLESON: On the LFO side. There is different rates
10 and different commodity pricing underpinning the other
11 application. And the market conditions are dramatically
12 different on that side.

13 Q.641 - Well, at least on the LFO part?

14 MR. CHARLESON: And that is only one piece.

15 Q.642 - Will your expenses forecast for 2008 or 2009 change
16 one penny whether or not you get this extra \$10 million in
17 revenue or not?

18 MR. CHARLESON: There will be some changes that can be
19 impacted. Obviously if there is additional revenues that
20 can impact the level of financing that we require to
21 continue to grow the business.

22 So revenue has a direct impact in terms of other parts
23 that roll into our expense items. So there could be some
24 impacts. I can't itemize them or --

25 Q.643 - You have a little bit of cash flow. So some of your

1
2 borrowing costs might be a little low?

3 MR. CHARLESON: Yes. Or you don't require as much to
4 underpin the growth or the expansion that you plan within
5 the year.

6 Q.644 - Right. But generally there is not going to be any
7 substantial effect on your expenses at all is there?

8 MR. CHARLESON: Again I couldn't necessarily agree in terms
9 of what is substantial or not.

10 Q.645 - Okay. Well, quantify it for me. You have identified
11 something that you said might change. Is it \$500,000 --
12 \$300,000? Give me an order of magnitude.

13 MR. CHARLESON: We would have to undertake to do that. It
14 is not something that I can calculate or do sitting here.

15 Q.646 - Well, why don't you undertake to do that?

16 MR. HOYT: Can I just get clarification on what the
17 undertaking is?

18 Q.647 - My question was what -- you have given us numbers
19 about what your revenue will be or will not be as a result
20 of this increase. And I think you have agreed that on an
21 annualized basis you are going to get another \$10 million
22 in revenue.

23 And I asked if you don't get this \$10 million in
24 revenue will that have any effect on the other side of the
25 ledger, your expenses? It will have an effect on the

1
2 deferral account. But will it have any effect on your
3 direct expenses?

4 And in a fair order of magnitude. I'm not asking to
5 the penny.

6 MR. CHARLESON: Just bear with us a second here. Because we
7 may be able to -- degree of precision required we may be
8 able to at least give something directional to keep us
9 moving.

10 After consulting with the accountant, earlier on we
11 indicated that we had looked at our expenses for this year
12 and in the range of \$22.7 million. Our sense of the
13 implications of say that additional revenue, you know,
14 could be in the range of maybe a half million dollars.

15 Q.648 - So instead of having expenses of 22.7 million you have
16 expenses of 22.5?

17 MR. LEBLANC: Or 22.2.

18 MR. CHARLESON: Yes.

19 MR. LEBLANC: Somewhere in that range.

20 Q.649 - 22.2 million?

21 MR. CHARLESON: Yes.

22 MR. STEWART: Those are my questions.

23 CHAIRMAN: All right. So there is no undertaking then?

24 MR. STEWART: No.

25 CHAIRMAN: Thank you, Mr. Stewart. Ms. Desmond? Anytime

1
2 you are ready.

3 MS. DESMOND: Thank you.

4 CROSS EXAMINATION BY MS. DESMOND:

5 Q.650 - The first couple of questions will relate to
6 undertaking number 1 which is now A-10.

7 And I understand from your evidence earlier that there
8 is no expected rate increase for the SGSRE class.

9 And perhaps you could just expand on why that is, just
10 for the record?

11 MR. CHARLESON: Again at this point the maximum rate
12 approved for the SGSRE class is I believe \$7.6212 cents.
13 And the rate that is currently in place is well below
14 that.

15 With the last rate rider it is about \$3.43. So there
16 is still a significant gap between the approved rate and
17 the effective rate at this time because of -- to maintain
18 the competitiveness against the electricity market.

19 So there is -- we would have to see a dramatic change
20 in terms of some of the pricing before the application of
21 rate riders would get us to the point that there is a need
22 to increase that maximum rate.

23 Q.651 - And the alternative commodity there of course is
24 electricity?

25 MR. CHARLESON: That's correct.

1
2 Q.652 - And for all other rate classes is it fair to assume
3 that the alternative commodity is oil?

4 MR. CHARLESON: Yes.

5 Q.653 - And as we heard through the hearing, the cost of oil
6 of course has increased significantly. And as a result
7 that is the basis for this rate application?

8 MR. CHARLESON: That's correct.

9 Q.654 - Okay. It has appeared to us though that there is with
10 the HFO class. Is the alternative commodity there oil as
11 well?

12 MR. BUTLER: Yes. It is heavy fuel oil.

13 Q.655 - And could you explain then why there has been no
14 increase for the HFO class?

15 MR. BUTLER: The market price of HFO is still well below the
16 cost of natural gas.

17 Q.656 - And just for the record has there ever been an
18 increase i the HFO class?

19 MR. BUTLER: No, there hasn't.

20 Q.657 - And has there never been a variation to the
21 relationship there that has necessitated an increase?

22 MR. BUTLER: I believe when the rate was set in 2000 we
23 had -- with this rate we had a 5 percent savings over
24 heavy fuel oil. And that has deteriorated to -- I believe
25 currently today it would be somewhere in the minus 46

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

percent range.

Q.658 - If you could turn to the follow-up IR which I believe is A-6. And we are looking specifically at Flakeboard IR number 1 and page 2 of that response.

And it appears that in the LFO tier 1 class the actual volume for 2007 is 911 terrajoules, is that correct?

MR. CHARLESON: That's correct.

Q.659 - And then if you flip to page 3, table 5, the forecast for that same class is 1522 terrajoules.

Can you explain for us the difference there, where that 611 terrajoules forecast increase comes from?

MR. CHARLESON: Well, actually the 1522 in table 5 is actually for 2000' -- is the forecast for 2008. Whereas in table 2 the 911 is 2007 actuals. So what it is showing is there is an anticipated growth between 2007 and 2008.

Q.660 - And why is that?

MR. CHARLESON: That is related to a new LFO customer that came on late in 2007.

Q.661 - Now I think for the next few questions it would be helpful if we could pull out your table where the formula is, which I believe is in exhibit A-3, page 3.

And in addition to that you are going to need exhibit A-4 and primarily the responses to the questions posed by the NBEUB.

1
2 And what we would like to do is sort of work through
3 some of the line items here that are on page 3 in the
4 formula.

5 And starting first with the retail oil price which is
6 line 1, could you indicate to the Board if there is any
7 other fuel choice in New Brunswick that Enbridge could use
8 as an alternative or as an optional fuel as a comparison
9 to calculate the market-based rate?

10 MR. CHARLESON: For this class of customers, no, we don't
11 believe there is an alternative. This is the -- this is
12 the fuel that again many of these customers converted from
13 and continue to have access to as a fuel alternative.

14 So that is why we believe it is the appropriate one.

15 And we don't see any different fuel that we can --

16 Q.662 - And is it possible or do you have reason to believe
17 that the relationship will be what it was in the late
18 '90's, the relationship between natural gas and oil?

19 And how reliable will that relationship be going
20 forward?

21 MR. CHARLESON: I think what we have seen over the years is
22 there is significant volatility affecting both natural gas
23 and oil prices. Whether the relationship that was in
24 place or kind of the tightness of the spread that was in
25 place at that time, whether we would return to that, I

1
2 think it is difficult to predict. There is no certainty
3 around it.

4 However we still believe that oil is the appropriate
5 price signal because it is the alternate fuel. And also
6 we still do see that there is trends within the market.
7 Prices will move.

8 Oil and gas prices on a day will tend to move in a
9 similar direction on a lot of the cases. Natural gas has
10 a tendency to follow oil in a lot of cases in response to
11 some of the market signals. They respond to similar
12 market signals.

13 Q.663 - Now in relation to that particular line item, could
14 you also flip then to NBEUB IR-4 which is in exhibit A-4
15 and the bottom of page 2 in that response.

16 And we understand that Enbridge uses the West Texas
17 intermediate crude oil as a proxy to calculate the right
18 fuel oil price --

19 MR. CHARLESON: That's correct.

20 Q.664 - -- is that correct?

21 And looking at the bottom of page 2 then it appears
22 that you start with an average price of 82.0105?

23 MR. CHARLESON: Correct.

24 Q.665 - And then you divide that by 5.8?

25 MR. CHARLESON: Yes. That is converted from barrels to

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

million btu's.

Q.666 - Okay. And then you use a multiplier there of 1.2450 which is the -- appears to be the refining ratio.

Can you explain where that refining ratio comes from?

MR. CHARLESON: The refining ratio is based on some studies that were done a number of years ago when the methodology was first being developed to look at kind of what we see -- and again I think the methodology is described further on the next page of this response.

But the information was collected to arrive at what was typically seen in kind of the marketplace for the refining of crude to other products. And we have kind of continued to rely on that refining ratio as being a reasonable calculation.

Q.667 - And then the result of that calculation of course is that you had the price for number 2 oil at New York Harbour, is that correct?

MR. CHARLESON: That's correct.

Q.668 - But is that information publicly available without the calculation? So could you not access that number 2 fuel price oil at New York Harbour without having to go through that problematic approach?

MR. BUTLER: It is available. I believe it is an 18-month forward price for that.

1
2 Q.669 - So if it is publicly available why not use that
3 information as opposed to make a number of assumptions and
4 use this calculation?

5 MR. BUTLER: I'm not really sure why we don't. I know that
6 we do longer term outlooks forecasting. And the crude oil
7 future pricing is available. I think it goes out at least
8 five years.

9 So other than the fact that we have used that
10 methodology and we have continued to use it for both short
11 and long-term forecasting --

12 Q.670 - Would you undertake to provide that number I guess
13 using the publicly available information --

14 MR. BUTLER: Yes. We could do that.

15 Q.671 - -- for that calculation?

16 MR. BUTLER: That would be as of the same dates then as --

17 Q.672 - Yes.

18 MR. BUTLER: -- comparable?

19 Q.673 - Now you have indicated to the Board that you used 21
20 days of market data.

21 And I think in your opening statement you commented
22 that the longer the period that is used the less
23 susceptible you are to minor market changes, is that
24 correct?

25 MR. CHARLESON: That's correct. When we looked at -- when

1
2 we talked about minor market changes, things that can
3 happen say in a seven-day period. And so by using a
4 longer period it helps to exclude some of those from being
5 factored into our pricing.

6 But then also keeping it for 21 days keeps it in a
7 position where we are able to be responsive to the changes
8 that are happening in the market.

9 Q.674 - But is it fair to say that the choice of using 21 days
10 is really a judgment call?

11 MR. CHARLESON: To an extent it is a judgment call. But the
12 21-day average is also something that is typically used in
13 the industry for measuring volatility and looking at what
14 is happening in the commodity markets.

15 So not only is it something that we view as being, you
16 know, reasonable in terms of managing the response from
17 this, but also providing that one-month view in terms of
18 trading activity. It helps to -- again it is something
19 that is seen in the marketplace.

20 It is something we see in a number of, you know, the
21 reports that we get from different trading shops, and
22 again gives us that responsiveness and really helps to
23 align as well with when we look at the ability to do rate
24 riders, kind of matching up with that timing as well.

25 Q.675 - But if took a long window of data points, clearly that

1
2 would give you more reliability. It might be less
3 flexible in terms of anything you would make changes. But
4 wouldn't it be more reliable?

5 MR. CHARLESON: I wouldn't necessarily say that. Because
6 again what is occurring by -- as you draw in more data
7 points, you are kind of ignoring what is happening in the
8 market today.

9 It is kind of -- you are discounting kind of the
10 knowledge of the market by drawing in more historical
11 information.

12 And again if there is that dampening in terms of what
13 is happening in the market today, it does put us a
14 significant risk of becoming uncompetitive or having rates
15 that unnecessarily lead to additions to the deferral.

16 Q.676 - In terms of the application that is before the Board -
17 - and I appreciate you took a particular window of time --
18 was there any magic to that 21-day window that you chose
19 for the purpose of this application?

20 MR. CHARLESON: We looked at the timing, when we had all the
21 other elements of the application together, and then
22 looked to use basically the most recent market data that
23 we could while getting all the paper work together.

24 Q.677 - Would you agree that the window that you choose
25 impacts significantly on the end result, the rate that you

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

will be asking the Board to approve?

MR. CHARLESON: Definitely the window that you choose will have an impact. However by a 21-day average, you know, whether you pick November 1 as the date or October 30th or November 3rd as the date leading up to that application, it is going to be muted to an extent.

But obviously what we see from -- you know, when we -- by applying, using the November 1 date data as opposed to say October 1 or December 1, in that sense it can contribute to a much more significant impact.

Q.678 - And just having done some rough calculation at a staff level, would it be accurate to suggest that if we took 21 days prior to October 1st that the distribution rate would be about a dollar lower than what this application is requesting?

MR. CHARLESON: Prior to October 1st or November 1st?

Q.679 - Just move back a month?

MR. CHARLESON: If we move back a month earlier? We would have to -- I would have to check. But I will accept that it would have been a lower rate that would have been applied for.

Just the same as if we had been a month later it would have been a higher rate that we would have applied for.

Q.680 - So the 21 days that you choose at the end of the day

1
2 have a significant impact on the results. Would that be
3 fair?

4 MR. CHARLESON: It can in periods where there is the
5 volatility in that. But that is also the reason why we
6 have the ability to use the rate riders, so that we can be
7 responsive to the changes in the conditions once that
8 maximum rate is established.

9 For the next question I had spoken to my learned
10 friend. We will attempt to be very careful about how we
11 phrase this question, so that we don't identify any
12 particular customers.

13 But it will necessitate looking at a couple of
14 confidential responses that I believe are before the
15 Board.

16 CHAIRMAN: Ms. Desmond, are you able to ask these questions
17 without having the Board go in-camera?

18 MS. DESMOND: I believe we can.

19 MR. HOYT: And Ms. Desmond talked to me. And as I
20 understand, it is going to be a matter of averaging
21 information about a number of customers. So I assume it
22 won't lead to identification of the customers.

23 CHAIRMAN: Thank you.

24 Q.681 - The first reference then for the panel would be EUB
25 IR-2 which is in exhibit A-4. And looking at that

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

response it references an average use in 2007 of 32402 gigajoules. I think it is the last sentence in the second last paragraph there --

MR. CHARLESON: Yes.

Q.682 - -- is that correct?

MR. CHARLESON: Yes. That's correct.

Q.683 - And from that response it appears that you have calculated that average without the two largest customers?

MR. CHARLESON: That's correct.

Q.684 - Then if we look at the confidential response IR-8 to AWL, that appears to be the customer usage for the last -- or the most recent 12 months, is that correct?

MR. CHARLESON: Yes. That's correct.

Q.685 - And if we were to remove the largest two customers, so in this instance it would be 17 for the three tiers and 14 in its entirety, and we do an averaging there, would that -- arguably the response or the outcome would be similar to what you have indicated is the last 12 months.

Would that -- should that calculation be the same?

MR. BUTLER: The difference between those numbers is the -- the purpose of that first -- IR number 2 -- that average figure was used to determine, you know, for ratemaking purposes what the average consumption is.

1
2 The billed information in the other response includes
3 some customers that were billed on the LFO rate who either
4 did not have a full 12 years of consumption -- so it was a
5 new customer -- or 12 months of consumption, sorry.

6 So it was a new customer coming on that they may have
7 only had a couple of months or a month of consumption. So
8 for the purpose of trying to determine what the average
9 is, those customers would be excluded.

10 Q.686 - You excluded them for the purpose of EUB IR-2, is that
11 correct?

12 MR. BUTLER: Yes, excluded them for the purpose of
13 determining the average consumption, which was the
14 question I believe in IR 2.

15 Q.687 - Why would they not have just been added to the
16 calculation when you were attempting to come to your
17 average?

18 MR. BUTLER: Again because we are trying to use this
19 derivation of rates calculation to determine, you know,
20 what is the average typical customer, so by including
21 customers in there that only have one month of
22 consumption.

23 So for example on -- what IR's -- number 8, you will
24 see the minimum consumption to qualify for LFO is 14000
25 gigajoules a year. So you will see customers -- you will

1
2 see, yes, customers in here using less than 14000
3 gigajoules.

4 So that would reduce, draw down the average. And it
5 wouldn't really provide you with a true average use, if
6 you included those partial years of consumption.

7 Q.688 - Can I ask how many customers were added to this class
8 in the last year?

9 MR. BUTLER: Yes. There is only one. But there is one I
10 recognize here that had been in the past using roughly 30'
11 -- 40,000 gigajoules that only used 7800 gigajoules.

12 So that customer, although they have been on the LFO
13 rate, their anniversary is coming up shortly. And they
14 have indicated to us that they will not need the 14000
15 gigajoules. So they are actually a CGS customer. So they
16 will be reclassified.

17 So that is an example of a customer that doesn't meet
18 the 14,000 gigajoule level. So it wouldn't be prudent to
19 include them in an average -- for the purpose of trying to
20 determine what is the average use for those customers.

21 MS. DESMOND: If I could just have a moment, Mr. Chair.

22 CHAIRMAN: Certainly.

23 Q.689 - Just on that same line of questioning, if we take you
24 to that same IR response in EUB IR-2, the first block
25 forecast usage.

1
2 And as you indicated, they were excluded for the
3 average, to calculate the average, is that correct?

4 MR. BUTLER: I'm sorry. The first?

5 Q.690 - For the first tier, the first block in the LFO class,
6 we understand from the response that two, the two largest
7 customers were excluded for the purpose of calculating the
8 average --

9 MR. BUTLER: That's correct. Yes.

10 Q.691 - -- forecast? Okay.

11 And I guess our question is why would you not include
12 those two larger customers at least for the first tier,
13 for the first 33,000 gigajoules?

14 Why would they have not been included for the purpose
15 of calculating the average?

16 MR. BUTLER: Well, I believe that it would have distorted,
17 you know, the average usage. It would have increased the
18 volume which would have, and as I explained in the
19 response here, that it would have had the effect of
20 increasing the delivery charge to the point where 90
21 percent of the customers wouldn't realize the targeted
22 savings. And because --

23 Q.692 - I appreciate that for the second and third tier. But
24 in the first tier why not include their usage for the
25 purpose of the average?

1
2 MR. CHARLESON: I think the difficulty that you would run
3 into is 90 percent of the customers who only consume
4 within the first year would not be able to achieve the
5 target level of savings.

6 Because by including those two larger customers it
7 skews that average use and would lead to a higher delivery
8 rate.

9 MR. BUTLER: Because you would be including the entire full
10 tier. So the largest customers use 33,000 gigajoules a
11 month, you know --

12 Q.693 - I appreciate that.

13 MR. BUTLER: -- whereas we have some customers that only
14 use, you know, less than that in a year.

15 Q.694 - But why exclude those two? Why not exclude the
16 smallest consumer then, just to make sure that you are
17 hitting the average?

18 MR. CHARLESON: Again the key that we are looking at is
19 ensuring that the rates that we arrive at provide the best
20 opportunity for customers to achieve the target level of
21 savings.

22 If we include -- if we were to include -- as we
23 indicate in that response to the IR, if we were to include
24 those two largest customers, it would arrive at a rate
25 that would not deliver on that value proposition.

1
2 And again our commitment is to put rates in place that
3 works towards delivering a target level of savings to the
4 customers in that class.

5 And to create -- to do an average that would
6 compromise that, we didn't see as being appropriate or
7 prudent in terms of managing the growth and the continued
8 use of natural gas by these customers.

9 Again a large number of these customers have the
10 ability to switch to fuel oil. They are dual fuel. So if
11 our rate is not competitive they are going to switch back
12 to using oil.

13 Q.695 - But by excluding two customers, both of whom have
14 usage in that particular tier -- what I'm hearing you say
15 is that by including them it distorts the average.

16 But perhaps the formula needs to be revisited if you
17 are essentially picking or choosing the customers that
18 need to be excluded to accomplish a particular target?

19 MR. BUTLER: I think the other big difference between the
20 two large customers or any customer that goes beyond the
21 first tier is that their average distribution rate is much
22 less than all of the other customers. So they are really
23 two distinct groups of customers.

24 Q.696 - So are they not suited then for that particular rate
25 class?

MR. BUTLER: I'm sorry?

Q.697 - Are they not suited for that particular rate class?

MR. BUTLER: Yes, they are, with the second and third tier in there.

Q.698 - With respect to your target savings which I believe is line 6 of page 3 -- just move on to the next line item.

MR. CHARLESON: Yes.

Q.699 - As you have indicated to the Board, there is a 10 percent target saving. Do you still believe the 10 percent is appropriate --

MR. CHARLESON: Yes.

Q.700 - -- for this particular class?

And why is that? Why is that a more appropriate target as opposed to the previous 15 percent?

MR. CHARLESON: Again the 10 percent we believe is appropriate because when we look at the absolute savings that are able to be achieved, if we look in comparison to when this rate was first established in 2000, there is a certain level of absolute savings that were achieved at that time. I don't have that number at hand. And that was what was delivered by the 15 percent savings level.

And as we looked with say the increases in commodity costs, that absolute savings had grown, and that is where we -- to the point where we felt it was reasonable and

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

appropriate to reduce that target savings level where it was still providing sufficient absolute savings that would incent people to convert to natural gas and to continue to use natural gas.

And you know, the evidence or the experience that we have had since that time would indicate that our assumption has been correct.

We have had additional customers convert to natural gas, LFO customers convert to natural gas or start to use natural gas, since that change has been made. And the customers that we have had have continued to use natural gas and haven't reverted to an alternate fuel source.

The other point -- so in terms of valuing that, well, we also felt that was appropriate. Because we saw it as an appropriate level it was also a means to ensure that we were minimizing unnecessary additions to the deferral account.

Q.701 - There has been a lot of discussion about a potential customer with whom you have had a number of discussions with about converting to natural gas.

Is there any concern that that target savings maybe is not sufficient to attracting customers?

MR. CHARLESON: No.

MR. BUTLER: No. Because most customers in this class look

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

at the payback. So the changes over time that Mr. Charleson mentioned, you know, the absolute savings -- the absolute savings have grown since we first set the rate with a 15 percent savings in the year 2000.

Those absolute savings have grown faster than the cost of conversion. So their payback today at 10 percent actually would be less than it was back in 2000 at 15 percent.

Q.702 - The next lien item I wanted to talk about was the monthly demand charge which is line 14.

Can you explain how that demand charge was originally calculated?

MR. CHARLESON: Unfortunately I can't. I would have to look -- we would have to look back at some of the analysis that was done at that time. And I'm not familiar with that.

Q.703 - How is it then that it says 520 today? On what basis do you support that submission?

MR. CHARLESON: Again we believe that, you know, because of the market-based methodology being employed that the focus is really -- that the focus has been on the delivery component.

You know, as we look at cost of service there may be implications at that time where we need to look at is that the appropriate contract demand under cost of service

1
2 model.

3 But under a market-based rate methodology we see the
4 520 as still enabling us to deliver the targeted savings
5 level and just using the distribution rate as the means of
6 adjusting the rates to continue to provide that target
7 savings.

8 Q.704 - So there has been no review or consideration of
9 whether it is appropriate to maybe amend or vary that
10 demand charge?

11 MR. CHARLESON: No, there hasn't.

12 Q.705 - Is it fair to suggest that if that demand charge was
13 increased the distribution rate would be reduced?

14 MR. CHARLESON: Yes. It would need to be to provide the
15 target savings.

16 Q.706 - How does that compare to other provinces? Do you have
17 any idea?

18 MR. CHARLESON: There is definitely variability in terms of
19 what you will see in demand charges. I know within Nova
20 Scotia the demand charge is significantly higher, about
21 more than four times the demand charge that we have here.

22 But then I believe in other jurisdictions you will
23 find demand charges that are lower than that. So you
24 know, there is going to be a number of factors that are
25 going to come into play.

1
2 And while that will establish that level, I don't
3 think there is any kind of set standard in terms of what
4 level the demand charge would be.

5 Q.707 - For the purpose of this application was there any
6 consideration made to review that figure or to --

7 MR. CHARLESON: No, there wasn't.

8 Q.708 - The next line item we would like to look at is item
9 15. And that is the average monthly contract demand.

10 And as you indicated I believe to Mr. Lawson
11 yesterday, that number has changed from previous
12 applications?

13 MR. CHARLESON: That's correct.

14 Q.709 - How is that calculated? What does it actually
15 represent?

16 MR. BUTLER: Again it is an average of existing customers or
17 a forecast of the customers.

18 Q.710 - And what was the rationale for the change?

19 MR. BUTLER: I don't believe that 350 has been changed since
20 the previous case. Sorry, I think I misspoke there. So
21 it would have been a change.

22 I'm assuming -- I didn't do this work myself. But I
23 would assume it is just a change in the average contract
24 demand between those two times.

25 Q.711 - And it was at 487 if I understood your testimony from

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

yesterday. And that is based strictly on the average?
MR. CHARLESON: That's right. I think if you look at the response to the Board's interrogatory number 3, that is where we have indicated that that line item is based on an estimate that was done in October of 2007, where we looked at the average at that point in time.

And again, even though applications have been filed, we continue to look at the contract demand that we are seeing from our LFO class. And we use that in terms of doing a derivation of rates or checking economics on the rate from time to time.

And what we found, when we looked at the average in October, that it was very comparable to the average that we had seen from the analysis we had been using for a period of time.

And as a result we -- you know, the 350 that we had been using as our basis for determining whether a change to rates was required appeared to be appropriate still and a reasonable reflection of the average contract demand.

Q.712 - Looking at that response, IR number 3, where does that 261 gigajoules then come from, if that is your average, excluding --

MR. BUTLER: That is the actual average.

MR. CHARLESON: But what we looked at for this application

1
2 was the estimates. Those are forecast contract demands
3 for 2008.

4 Q.713 - And you were expecting your contract demand done on
5 average to decrease essentially is what you are
6 suggesting?

7 MR. CHARLESON: Sorry?

8 Q.714 - Your are expecting a decrease in that average contract
9 demand even though your comparison of alternative fuel
10 cost is going up?

11 MR. CHARLESON: I'm sorry. I guess I'm -- how are you
12 arriving at that we are expecting a decrease?

13 Q.715 - The previous applications that have been filed before
14 the Board have indicated 487 average contract demand. And
15 for this application you have suggested that the average
16 would be 350?

17 MR. CHARLESON: Well, that is right. We continue to see a
18 change in the mix of customers that we have. And also we
19 will see a change in terms of the usage that occurs at
20 individual customers.

21 So it is something that will -- you know, from year to
22 year you continue to revisit how the contract demand
23 should be established for customers based on their
24 consumption patterns.

25 And what we are seeing, based on the mix of LFO

1
2 customers that we have right now, yes, it is lower than
3 what we were experiencing the last time a rate change was
4 applied for.

5 MR. BUTLER: I should point out it is a contracted amount.
6 So it can be change annually by the customer. So
7 customers can change it.

8 Q.716 - When you did that forecast for this particular
9 application did it include the two largest customers?
10 Just to be clear, I want to make sure that we are
11 comparing the same data.

12 MR. BUTLER: No, it didn't.

13 Q.717 - And if they had been included do you have any idea
14 what the average contract demand would have been for that
15 first block?

16 MR. BUTLER: I don't know what it would be in the forecast.
17 But given the actual -- in the response there it stated
18 that it was 616 including all customers. I'm assuming the
19 forecast would have been even higher than that, so --

20 Q.718 - Once you have moved out of a development period do you
21 have any idea as to whether the rates for EGNB will be
22 competitive as opposed to what the rates may be offered in
23 other provinces?

24 MR. CHARLESON: We don't know what the rates will be coming
25 out of the development period. What we expect them to be

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

is competitive to what the alternatives are for people within New Brunswick.

You know, there will always be variability in terms of what occurs in other jurisdictions. There is other factors that come into play in other jurisdictions.

Do I expect our rates to be say at a level that is in a very mature utility with a large customer base? I would be very surprised if our rates were at that level. I would expect them to be higher than that.

Again what we need to ensure is that they are competitive in terms of fuel sources and fuel choices for consumers within the New Brunswick market.

Q.719 - Has there been any future cost planning done in terms of moving over to a cost-based approach?

MR. CHARLESON: We have looked at long-range projections in terms of -- we do a long-range forecast that looks out a number of years. But again not looking at an individual rate level.

Just more looking at the revenue levels that would be -- you know, at the revenue levels required where you are able to recover more than your -- where you are recovering more than your cost. But not at a rate level.

MS. DESMOND: If I could just have a moment, Mr. Chair.

CHAIRMAN: Certainly, Ms. Desmond.

1
2 MS. DESMOND: I think we have covered everything, Mr. Chair.
3 Thank you.

4 CHAIRMAN: Thank you, Ms. Desmond.

5 Before we get to redirect I'm just going to see if
6 there is any questions from the panel. Vice Chairman
7 Johnston?

8 VICE CHAIRMAN: Just a couple of questions.

9 BY VICE CHAIRMAN:

10 Q.720 - My first question relates to the EUG and EVP options
11 with respect to gas pricing. I wasn't sure if I
12 understood the evidence correctly.

13 But can you comment as to the customers in the LFO
14 class who purchase their gas through Enbridge. Do they
15 all purchase on the EUG basis?

16 MR. CHARLESON: Currently they do, yes.

17 Q.721 - All right. But it is your expectation that may be
18 something they will be interested in, to move to an EVP
19 model?

20 MR. CHARLESON: That's right. Again the EVP product was
21 introduced in April of last year. And it wasn't till
22 really the -- you know, we had some customers that went on
23 to it immediately.

24 We have an HFO customer that is making use of EVP.
25 And it was really in the fall that we started to go out

1
2 and meet more with some of our LFO customers to talk about
3 the EVP product and kind of what it does.

4 Now a number of those are getting their supply from
5 other suppliers. But our expectation is that there is at
6 least one LFO customer that will be looking to use the EVP
7 product.

8 Q.722 - Do you have any knowledge of the LFO customers who
9 obtain their gas supply from other suppliers, whether
10 their contracts are more similar to the EVP model? Or do
11 you have any knowledge of that?

12 MR. CHARLESON: There is only two customers that we do have
13 knowledge of what their contract prices are like. And it
14 is pretty much identical to the EVP product other than it
15 has got a lower premium attached to it.

16 Q.723 - Thank you. Now one question I had a little bit of
17 confusion on -- and it may just be my memory or note-
18 taking. And actually I was looking for it.

19 But there is a small chart in an answer to one of the
20 IR's that shows the deferral account over time, in the
21 past and going into the future. I don't know if it is
22 necessary to find it or not. But I just want to be clear.

23 Yesterday I thought that the objections there were
24 based on no increase. But today I -- and I may have been
25 mistaken in my understanding. Today I understand that

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

that is based on the budgeted figures?

MR. CHARLESON: That's correct. It is based on the budgeted figures.

Q.724 - It is based on the budgeted figures, not the projections should the full increase be granted?

MR. CHARLESON: That's correct.

Q.725 - Okay. And my last question is perhaps not terribly important. But it is of interest to me.

There was some testimony from Mr. LeBlanc yesterday with respect to some revenue that was generated on ancillary businesses with respect to a special project. You used a figure of \$2 million.

Do you remember that evidence, Mr. LeBlanc?

MR. LEBLANC: Yes. I do recall the conversation.

Q.726 - Okay. Was that revenue or profit?

MR. LEBLANC: It is what we call gross margin. So it is before admin' and overhead.

Q.727 - All right. So it is not the revenue. It is gross margin?

MR. LEBLANC: Right. And we treat it equivalent to distribution revenue in terms of regulatory, the way we present it at regulatory.

VICE CHAIRMAN: Okay. Thank you. Thank you very much. Those are all my questions.

1
2 CHAIRMAN: Thank you. Mr. Hoyt, any redirect?

3 MR. HOYT: A couple of questions, Mr. Chair.

4 REDIRECT EXAMINATION BY MR. HOYT:

5 Q.728 - And just following along in terms of the Vice
6 Chairman's questions about EVP. And Mr. Lawson asked a
7 number of questions about EVP yesterday.

8 Does Flakeboard buy gas from EGNB?

9 MR. CHARLESON: No, they do not.

10 Q.729 - And why do you suppose not?

11 MR. CHARLESON: I assume -

12 MR. LAWSON: Mr. Chairman, why do you suppose not? Perhaps
13 he can ask a cross examination question of my client
14 rather than asking a supposition of this witness.

15 MR. HOYT: I'm simply asking if he knows why.

16 MR. LAWSON: Do you know why?

17 CHAIRMAN: Why don't you put the question that way. That is
18 fine.

19 Q.730 - Do you know why?

20 MR. CHARLESON: No, I don't.

21 Q.731 - Does Atlantic Wallboard buy gas from EGNB?

22 MR. CHARLESON: No, they do not.

23 Q.732 - Do you know why?

24 MR. CHARLESON: No, I do not.

25 Q.733 - Could you turn to EGNB follow-up response to

2 Flakeboard IR number 1 please. It is A-6.

3 And I would ask you to turn to table 5 which is on
4 page 3. And if you look at the 2008 column, what is the
5 total volume of all three tiers of the LFO class as a
6 percentage of total volume?

7 MR. CHARLESON: It is about 34 percent.

8 Q.734 - Thank you. And the last question. Yesterday you were
9 asked about the distance of the five potential LFO
10 customers, a number of different questions.

11 How far is Flakeboard's plant from the M&NP main line?

12 MR. CHARLESON: Just under 13 kilometers.

13 MR. HOYT: Thank you. Those are my questions.

14 CHAIRMAN: Thank you, Mr. Hoyt. Thank you panel, for your
15 evidence here over the last couple of days. I guess we
16 are at 10 to 12:00.

17 Do you have any further evidence, witnesses, Mr. Hoyt?

18 MR. HOYT: No, we don't.

19 CHAIRMAN: So that is the case for the Applicant?

20 MR. HOYT: Yes.

21 CHAIRMAN: All right. Well, then I think this is -- since
22 it is 10 to 12:00 this is probably an appropriate time to
23 adjourn for lunch. And after lunch we will start with
24 evidence from Atlantic Wallboard.

25 So we will -- about an hour and 20 minutes enough

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

time? I will make it even shorter than that if people felt they could be back.

MR. STEWART: We can be back at 1:00.

CHAIRMAN: Let's say 1:00 o'clock then.

(Recess - 11:50 a.m. - 1:00 p.m.)

WAYNE POWER and MARK BETTLE, sworn:

DIRECT EXAMINATION BY MR. STEWART:

CHAIRMAN: Good afternoon. Mr. Stewart, I see that you have a panel of witnesses present and they have been duly sworn.

MR. STEWART: Thank you, Mr. Chairman. I am just changing my note from good morning, Mr. Chairman, to good afternoon.

CHAIRMAN: Time does fly.

MR. STEWART: Indeed it does. Probably my own fault. Mr. Chairman and Members of the Board, I would like to introduce you to the Atlantic Wallboard/JDI panel who will be speaking with you this afternoon.

Closest to me on the end is Mr. Wayne Power. Mr. Power is a vice president with the JDI group and I guess I could best characterize him as the person in charge of the planning, development, start-up and operation of the Atlantic Wallboard LP plant in the former Saint John Shipbuilding yard.

1
2 Closest to you is Mark Bettle, who is Director of
3 Corporate Planning with JDI group. Among other things,
4 Mr. Bettle is responsible for hedging strategies and
5 methodology for forest products and energy for the JDI
6 group as well as the exploration and development of new
7 business opportunities for the JDI group, including among
8 others, the Atlantic Wallboard plant.

9 Both have a brief bio in evidence. One was marked at
10 the beginning of the hearing on Tuesday morning for Mr.
11 Bettle. And the other is attached to the back of Mr.
12 Power's substantive evidence, which I guess all other
13 things being equal we can turn to now.

14 For the record, I am going to refer the witness to
15 AWL/JDI exhibit number 1. And Mr. Power, that evidence,
16 that written evidence and the other materials that have
17 been filed with the Board in response to the various
18 written interrogatories I take it have been prepared
19 either directly by you or under your direction and
20 control?

21 MR. POWER: Yes, they have.

22 Q.1 - And do you adopt that evidence and those responses as
23 your sworn testimony in this proceeding?

24 MR. POWER: I do,

25 MR. STEWART: The witnesses are available by questioning to

1
2 the other parties.

3 MR. HOYT: Just one question, Mr. Chair. I just don't
4 understand the status of Mr. Power's opening statement.

5 MR. STEWART: I'm sorry. He has an opening -- that was -- I
6 apologize.

7 Q.2 - Mr. Power, you have an opening statement which you wish
8 to give?

9 MR. POWER: I would like to give that.

10 Q.3 - Please do.

11 CHAIRMAN: I guess the status is it is unread.

12 MR. STEWART: That was a not so subtle nudge, I guess.

13 MR. POWER: Mr. Chair and Members of the Board, after lying
14 dormant since 1999, JD Irving launched an initiative in
15 2005 to convert the former Saint John Shipyard into a
16 Green Industrial Park. The strategy was designed to
17 transform the old shipyard into a manufacturing centre of
18 excellence for environmentally responsible products and
19 processes. The industrial park was to be designed to be
20 like no other in North America.

21 The plan was to begin with one large anchor operation
22 and then continue to add additional operations under the
23 assumption the business model we had developed would prove
24 successful.

25 The business model was based on the premise that if we

1
2 could establish a low regional manufacturing cost, then we
3 could afford to absorb the additional transportation costs
4 necessary to ship the products produced here in Saint John
5 longer distances into the larger markets of New England
6 and the mid-Atlantic states. The market in Atlantic
7 Canada is simply not large enough to absorb the capacity
8 of the plant that we have here.

9 However, moving locally produced products into larger
10 markets is not an issue just with gypsum wallboard. It is
11 a reality facing many manufacturers in this province. We
12 believe the long-term future success of all manufacturing
13 in New Brunswick will be solely based one's ability to
14 access larger markets in a cost effective manner.

15 We knew at the time the wallboard plant was being
16 considered, that synthetic gypsum was going to be produced
17 at the Coleson Cove generating station from the new flue
18 gas scrubbing system that was being installed. Thus the
19 idea of building a gypsum wallboard plant suddenly became
20 a real possibility since a local gypsum source was going
21 to be available to fulfil a portion of our gypsum
22 requirements.

23 At the same time this proposed plant would allow us to
24 offer NB Power a way to utilize offware from their
25 environmental scrubbing system in a productive and

1
2 responsible manner as opposed to potentially sending it to
3 a landfill site.

4 Another key component we considered was whether we
5 could effectively establish a way to lower the energy
6 costs associated with drying and calining the product, two
7 critical aspects in the production of gypsum wallboard.
8 We knew we needed to have a lower cost position than other
9 manufacturers in our market. As you may be aware, our
10 initial plan was to build a biomass plant on the shipyard
11 site and run our operation with steam. However, the
12 volume of biomass required was extensive and we began
13 investigating the option of using natural gas.

14 Natural gas seemed logical to us at the time since we
15 had a single end use franchise across the street at the
16 Irving Paper Mill and excess gas available. Never was any
17 alternative fuel considered as an option and now that we
18 have gas burning equipment installed, we have no other
19 option.

20 Since the original business model was developed, we
21 have had Atlantic Wallboard single end use franchise
22 rejected and the EGNB local distribution fees added to our
23 business model. This is a service fee which, with the
24 proposed increase, puts our operation at risk. This is a
25 service fee which we believe is simply unwarranted,

1
2 greater than our competitors' costs and puts other
3 developments at the Irving Green Industrial Park on hold.

4 We believe it is not just and reasonable to simply
5 plug numbers into a formula and generate an answer,
6 regardless of what that answer is, and assume that that is
7 acceptable. Atlantic Wallboard should not be subjected to
8 sudden and excessive increases and Atlantic Wallboard
9 cannot absorb an \$852,000 a year increase in our current
10 market conditions.

11 During these deliberations I ask the Board to consider
12 the cost to ratepayers and the consequences it will have
13 for us, but also consider the rate shock associated with
14 the proposed increase requested by EGNB.

15 I ask the Board to carefully consider the position of
16 our organization, our employees and other LFO customers
17 and ensure that any increase is just and reasonable. We
18 must have energy cost structures in our province that
19 allow us to operate competitively and provide potential
20 investors with some reasonable assurance that our rates
21 will not double every two years. Excessive local
22 distributions charges which put organizations like our at
23 risk serve no purpose, not even to EGNB who in the end
24 will only lose customers, future an potential and
25 existing, to their detriment and the detriment of the

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

ratepayers.

Thank you.

MR. STEWART: That having been said, Mr. Chairman, the witness is available for questioning by other counsel.

CHAIRMAN: Thank you. So I guess maybe the first person for cross examination would be Mr. Lawson.

MR. LAWSON: My previous cross examination, I don't have any.

CHAIRMAN: Thank you, Mr. Lawson. I don't believe anybody is here from CME yet. Mr. Hoyt?

MR. HOYT: Thank you, Mr. Chair.

CROSS EXAMINATION BY MR. HOYT:

Q.4 - Thank you, Mr. Chair. Good afternoon, Mr. Power, Mr. Bettel. Mr. Power, my understanding is that EGNB's CLGS LFO rates in the three blocks for the first 33,000 Gj's delivered per month, the second block is for the next 25,000 Gj's delivered per month. And the third block is for volumes delivered in excess of 58,000 Gj's per month. Is that your understanding?

MR. POWER: That is my understanding.

Q.5 - In response to EGNB IR-2(c), and for the Board's benefit and the witness' benefit, I will refer primarily throughout to AWL-1, which is the evidence of Mr. Power and AWL-3, which are AWL's IR responses to EGNB.

1
2 And in some of them I am only going to ask for
3 confirmations and if it is not necessary to turn to the
4 IR, it may speed things up. But if you ever want to turn
5 to one feel free.

6 MR. POWER: Okay. Thank you.

7 Q.6 - So in response to EGNB IR-2(c), you indicated that AWL's
8 anticipated consumption for 2008 will be 25,000 Gj's for
9 the second block and 2,345 Gj's for the third block, is
10 that correct?

11 MR. POWER: That is correct based on where we believe the
12 capacity of the plant will be at this stage. And based on
13 what we have for the forecast capacity for the plant.

14 Q.7 - Right. So AWL will be using a significant amount of gas
15 in the second and third block, correct?

16 MR. POWER: We will be using 25,000 gigajoules in the second
17 block and 2,345 gigajoules in third block.

18 Q.8 - And in response to EGNB IR-2(b), you confirm that EGNB
19 is not requesting any increase to the second or third
20 blocks or the demand charge of its CLGS LFO rate, correct?

21 MR. POWER: That is correct.

22 Q.9 - Now a couple of places your evidence in A-9 and A-11,
23 you refer to a 90 percent increase in distribution charges
24 and your counsel referred to it a couple of times
25 yesterday, is that correct?

1
2 MR. POWER: There is a 90 percent increase in the
3 distribution charge in the first block.

4 Q.10 - And how did you calculate the 90 percent?

5 MR. POWER: We took the rate as we understand it today, the
6 posted rate, at again at the 33,000 gigajoules and the
7 proposed rate and the differential between those two is
8 \$852,000, which equates to 90 percent within that block.

9 Q.11 - But again you did it in terms of the rates themselves,
10 right? You took the proposed rate, subtracted the existing
11 rate and divided by the existing rate, is that correct?

12 MR. POWER: Correct.

13 Q.12 - And you just confirmed the 90 percent does only refer
14 to EGNB's delivery charge on the first block?

15 MR. POWER: Yes.

16 Q.13 - So in that 90 percent calculation, you didn't factor in
17 that there is no proposed increase for the second or third
18 blocks or the demand charge of EGNB's rate did you?

19 MR. POWER: We are concerned about the \$852,000 in our
20 operation as a whole.

21 Q.14 - Right. I have heard you say that, but what I asked was
22 whether or not in calculating the 90 percent, you
23 considered that the fact that there is no proposed rate
24 increase in the second or third blocks or the demand
25 charge?

1
2 MR. POWER: No, that's understood.

3 Q.15 - And you didn't consider commodity costs either,
4 correct?

5 MR. POWER: Commodity costs for us is not a factor, simply
6 because the service that EGNB provides to us is the
7 transfer and distribution of the gas. We do not purchase
8 gas from EGNB.

9 Q.16 - But again in that 90 percent calculation, there is no
10 commodity cost factored in?

11 MR. POWER: There is no commodity cost factored in for gas,
12 nor is there cost factored in for the price of our gypsum
13 or our paper or any other commodity we use in the direct
14 manufacture of our product.

15 Q.17 - Now in A-10 of your evidence, you indicated that if the
16 requested rates are granted, AWL's distribution charges
17 will be \$2.1 million each year, correct?

18 MR. POWER: Based on the forecast as we have in our plant,
19 correct. In that ballpark, Mr. Hoyt. You know, there is
20 plus or minus. It could be plus or minus \$50,000,
21 depending on the volume of gas we use and the capacity of
22 the plant.

23 Q.18 - Sure. Now even though I said was only go to refer to
24 two things, I do want to refer in this one instance to the
25 evidence of Barry Gallant, which I understand is

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

Flakeboard 1. And again I can make the reference. It may not be necessary depending of Mr. Power's response.

So I just ask you to turn to A-5 of Mr. Gallant's evidence.

MR. POWER: Yes.

Q.19 - And he indicated that Flakeboard's annual distribution charges would also be at \$2.1 million. Do you see that?

MR. POWER: Yes.

Q.20 - So would it be fair to say that AWL and Flakeboard are comparable customers?

MR. POWER: I honestly can't comment on that. I don't know what his consumption levels are in the other blocks. I can tell you that I think it is fair to say that they used 33,000 gigajoules and fill out the first block and we used 33,000 gigajoules and filled out the first block.

Q.21 - But you would acknowledge that you both indicated that your annual distribution charges will be approximately \$2.1 million?

MR. POWER: Based on Mr. Gallant's response, yes.

Q.22 - Now in response to EGNB's IR-3(b), you indicated that AWL contracted to be a CLGS LFO distribution customer of EGNB on September 12th 2006, correct?

MR. POWER: Correct.

Q.23 - And EGNB can apply to this Board at any time to change

1
2 its CLGS LFO rate, correct?

3 MR. POWER: I believe so. But I can't say with great
4 confirmation. I assume they can, yes.

5 Q.24 - If you would just turn to AWL's response to EGNB IR-4?
6 And in the reference to the question, we referred to your
7 evidence where you had indicated that in the fall of 2005,
8 EGNB's LFO rate for the first block was -- and this is
9 this number that changed yesterday -- it says there .9273,
10 but I think Mr. Charleson indicated that the rate at that
11 time is actually .9773?

12 MR. POWER: Okay.

13 Q.25 - And as I said I don't think anything really turns on
14 that. So in terms of -- that's what we had asked you to
15 indicate was that in the fall of 2005, EGNB's LFO rate was
16 the .9773, correct?

17 MR. POWER: Correct.

18 Q.26 - And then in response to the actual question in EGNB IR-
19 4, you confirm that EGNB's LFO distribution rate was
20 2.3910 dollars per Gj at the time you entered the contract
21 with EGNB, correct?

22 MR. POWER: Correct.

23 Q.27 - So you knew prior to signing up with EGNB that it's
24 CLGS LFO rate was 2.3910 dollars per Gj, correct?

25 MR. POWER: Correct.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

Q.28 - And also that would indicate that EGNB's rate were subject to fluctuation?

MR. POWER: Are you asking a question?

Q.29 - Yes. Is that correct? I mean it was 9773 --

MR. POWER: Right.

Q.30 - -- when you first started talking to them?

MR. POWER: Right.

Q.31 - And you were aware when you signed up with EGNB that EGNB had market-based rates?

MR. POWER: Correct.

Q.32 - Now in A-7 of your evidence, you refer to CertainTeed, correct?

MR. POWER: That is correct.

Q.33 - It's A-7 of your evidence, which is AWL 1.

MR. STEWART: It would be page 2 of 7.

MR. HOYT: Right. And it's probably five or six lines down.

MR. POWER: Correct. Got it.

Q.34 - So you refer CertainTeed?

MR. POWER: Yes. I referred to different companies that are operating or have been operating wallboard manufacturing facilities in Atlantic Canada.

Q.35 - And CertainTeed has a wallboard plant in McAdam, New Brunswick, don't they?

MR. POWER: Correct.

1
2 Q.36 - Do you know what CertainTeed uses as their primary
3 energy source at that facility?

4 MR. POWER: I cannot say for certain what their fuel source
5 is, but it is my understanding a component of it, if not
6 all of it, is heavy fuel oil.

7 Q.37 - And you could confirm though that they do not use
8 natural gas?

9 MR. POWER: It is not my understanding that they use natural
10 gas, correct.

11 Q.38 - Now in A-7 of your evidence, I guess the same
12 paragraph, you indicate that in order for Atlantic
13 Wallboard to be successful, 70 percent of the product
14 produced must be exported, correct?

15 MR. POWER: Correct.

16 Q.39 - So a lot of AWL's product will be sold in the United
17 States, correct?

18 A. Correct.

19 Q.40 - And in U.S. dollars, I assume?

20 MR. POWER: Correct.

21 Q.41 - At A-5 of your evidence you indicated that AWL
22 officially began production on December 12th 2007,
23 correct?

24 MR. POWER: That is correct. The plant ran for a full total
25 of 7 minutes that day.

1
2 Q.42 - But that was the initial --

3 MR. POWER: That was the initial day that we attempted for
4 the first integrated production run of wallboard at our
5 plant.

6 Q.43 - And you are using natural gas at the plant?

7 MR. POWER: Yes.

8 Q.44 - And in addition to the various components of EGNB's
9 distribution charge that we went through earlier, the
10 three blocks for the demand charges, AWL has to pay
11 commodity costs for the natural gas itself, correct?

12 MR. POWER: We pay -- we pay commodity costs for the natural
13 gas, correct.

14 Q.45 - So do you think that Enbridge's EVP product, which has
15 been discussed, I guess both yesterday and today, is a
16 reasonable proxy for LFO customers, natural gas commodity
17 price?

18 MR. POWER: I am not sure. We have a gas contract that we
19 use. We pay for the commodity. It's confidential
20 information that is within the Irving organization. And
21 this hearing in our opinion is not about the price of the
22 commodity, this hearing is about the distribution charge
23 for the commodity.

24 Q.46 - Right. I understand your concerns in terms of
25 confidentiality. So you are not prepared to provide us

2 with AWL's monthly price for natural gas during 2008?

3 MR. POWER: No, I think we have responded to that in one of
4 IRs previously that that's confidential information that
5 we will not -- we will not publish.

6 Q.47 - Okay. So then just back to my question then, so do you
7 think that EVP's are a reasonable proxy for LFO customers,
8 natural gas commodity price?

9 MR. POWER: I -- you are asking me a question, which I don't
10 have information to confirm or not confirm.

11 Q.48 - And have you investigated the EVP product?

12 MR. POWER: To my knowledge, we have not investigated the
13 EVP product.

14 Q.49 - But again you are not prepared to put your price before
15 this Board so that they have that information on which to
16 base their decision?

17 MR. POWER: No, we are not.

18 MR. HOYT: No further questions.

19 CHAIRMAN: Thank you, Mr. Hoyt. Ms. Desmond?

20 MS. DESMOND: No questions from Board Staff, Mr. Chair.

21 CHAIRMAN: Anything from the Board?

22 MR. TONER; Yes, may I?

23 CHAIRMAN: Mr. Toner.

24 BY MR. TONER:

25 Q.50 - In your opening statement, on the second page, when you

1
2 went on and you mentioned that -- I will just read it.
3 It's the first paragraph on the second page and the second
4 sentence, "Never was any other alternative fuel considered
5 as an option and now, having invested in gas burning-
6 equipment, we have no other option."

7 Can you elaborate on that? Taking into account the
8 \$852,000 increase, and explain further?

9 MR. POWER: What we mean there?

10 Q.51 - Yes.

11 MR. POWER: When the shipyard site was dormant, so there was
12 really no operation over there. And you have heard from
13 EGNB over the past day or so about customers having the
14 capability of switching from one fuel to another. We
15 don't have capability to switch from one fuel to another.
16 We run on natural gas.

17 The only other fuel that was ever considered at the
18 shipyard site, was whether we wanted to build a biomass
19 energy plant and bring in in excess of 500,000 tons of
20 biomass from our forestry operations and run the operation
21 on steam, which we decided was not an appropriate way to
22 operate, nor one that we could operate in a cost effective
23 manner. So we decided to go to natural gas. But we do
24 not have the capability to burn any other fuel on site.
25 And that's what was intended in that comment.

1
2 Q.52 - And so when you do look at your costs, because you do
3 know what your costs of natural gas is and you do look at
4 in the big picture as if you were buying all your products
5 from Enbridge, not just a distribution, but as a whole, is
6 it less expensive or more expensive than biomass?

7 MR. POWER: No, we do not look at buying all our products
8 from Enbridge. We just want to go back to the original
9 premise of our business model. When we started this, we
10 made the assumption that we had gas from our single end
11 use franchise across the street, literally a few hundred
12 meters away. And that we would be able transfer that gas
13 at virtually no cost other than the cost of a pipe from
14 the Irving paper mill to our plant across the street.
15 Never was there any contemplation of buying gas, the
16 commodity or anything.

17 So when we signed the deal with Enbridge, after we had
18 the single end use franchise rejected, we look at this as
19 strictly a cost that we have to absorb to transfer gas
20 from a point A to a point B. And that is the extent of
21 the service, and that is the extent of the evaluation that
22 we have done.

23 Q.53 - So your savings by having built here versus in Boston,
24 for example, the transportation cost is -- that's where
25 the savings is supposed to go, like to basically to pay

1
2 for transportation between here and your market?

3 MR. POWER: Yes. In Atlantic Canada, the wallboard plant
4 has a capacity somewhere between 350 and 390 million
5 square feet. The entire market in Atlantic Canada for
6 wallboard is 190 million square feet. You know, we don't
7 capture the whole market.

8 So in order for this plant to have scale and to be
9 effective, we have to move product into the northeast
10 quadrant, basically New England the mid-Atlantic states.
11 But the future of all manufacturing the province of New
12 Brunswick is going to be predicated on the fact that we
13 don't have a population big enough here to support world
14 scale manufacturing. We have to move it to the market.
15 So the trick is can we have a manufacturing strategy here
16 that allows us to have manufacturing costs and then tack
17 on top of that the fact that we have to spend a little
18 more to move product into Boston, into Philadelphia and
19 into those markets, than somebody who is sitting with a
20 plant in downtown Boston would.

21 So if we -- if you have the same criteria and your
22 manufacturing costs are X in Saint John and X in Boston,
23 but your transportation costs are twice as much in Saint
24 John as they are in Boston, you simply can't compete,
25 because we deliver product on a delivered basis to a

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

customer.

MR. TONER: Yes. No further questions. Thank you.

CHAIRMAN: I guess that's all of the questions from the Board. Any redirect, Mr. Stewart?

MR. STEWART: None, Mr. Chairman.

CHAIRMAN: Thank you, Panel, for testifying here today.

CHAIRMAN: I will ask Ms. Desmond to come forward and swear this witness.

JOHN REED, (sworn)

CHAIRMAN: The witness has been duly sworn.

DIRECT EXAMINATION BY MR. STEWART:

MR. STEWART: Mr. Chairman, I would like to introduce the Board to Mr. John Reed of Concentric Energy, who has been retained by Atlantic Wallboard to give evidence with respect to this matter and his views on certain matters.

Mr. Reed's curriculum vitae is part of his evidence. I think it shows extensive expertise. And I would submit would qualify him to give his expert opinion on the matters at issue in this matter. And would move that the Board so accept him in that regard.

CHAIRMAN: So in terms of qualifying him as an expert, you are indicating in the matters at issue. Are you able to be any more specific?

MR. STEWART: Oh, certainly. With respect to the

1
2 market-based ratemaking methodology, as well as, its
3 proper application in these circumstances.

4 CHAIRMAN: Thank you.

5 MR. STEWART: And I can go through his qualifications, but
6 they are all in evidence.

7 CHAIRMAN: Mr. Hoyt any --

8 MR. HOYT: No objections, Mr. Chair.

9 CHAIRMAN: Anybody else have any objections or questions?

10 All right. He will be so qualified.

11 MR. STEWART: Thank you, Mr. Chair.

12 Q.1 - And Mr. Reed, do you have -- having heard the evidence
13 and the discussions and the proceedings in the last day
14 and a half or so, do you have any sort of opening remarks
15 that you would like to make with respect to the matters
16 that have been discussed so far?

17 A. Yes, I would like to make some opening remarks with
18 regards to new evidence that has come in since my direct
19 testimony was filed.

20 MR. HOYT: Excuse me, Mr. Chair. Is this a summary of the
21 evidence or is this an opening statement? Because my
22 understanding is that the opening statements are to be
23 filed at least a day in advance so that parties aren't
24 taken by surprise. If it's a summary of the evidence then
25 that's fine.

1
2 MR. STEWART: Well it's a comment on evidence that has
3 bene -- some positions that have been put forward since
4 the hearing began.

5 MR. HOYT: I mean I can refer to a provision of the
6 procedures regulation under the Gas Distribution Act if
7 necessary, but I think just in terms of the procedures
8 that have been followed today, I mean we filed the opening
9 statement in advance. Mr. Stewart filed Mr. Power's
10 opening statement in advance and that process worked fine.
11 Because we had the opportunity to know what was coming.

12 CHAIRMAN: What precisely, Mr. Stewart, is it that this line
13 of questioning will pursue?

14 MR. STEWART: Well, I believe that this line of questioning
15 will just pursue -- there have been certain comments made
16 by the Enbridge Panel with respect to things said and
17 commented on in his -- in Mr. Reed's evidence. And so Mr.
18 Reed is looking to simply respond to the comments made
19 with respect to his evidence and the matters before it.
20 There is nothing -- I mean it's not like -- there is no
21 ambush here. It's not like he is going to say something
22 substantially different that hasn't been raised since this
23 matter began.

24 CHAIRMAN: Just so that I can understand what you are saying
25 is it's essentially what you are asking him is to comment

1
2 on evidence that he has heard over the last day and a
3 half?

4 MR. STEWART: Correct. And that's all.

5 MR. HOYT: But Mr. Chairman it sounds like it is in the
6 nature of a reply. And I don't know where that fits in
7 the process. And Mr. Stewart even at lunchtime didn't
8 give us any indication in terms of what's coming. I mean
9 we are prepared to cross examine this witness on his
10 evidence.

11 CHAIRMAN: It seems to me it would be very difficult for Mr.
12 Stewart's client to have provided evidence in advance if
13 what he is -- if the question just really relates to
14 responding not to the pre-filed evidence, but to evidence
15 heard in testimony over the last day and a half, if in
16 fact it -- it seems to bring up new evidence then we will
17 address that issue if it arises. And if somehow you are
18 caught by surprise and need a little extra time to deal
19 with it to prepare your cross, we will deal with that as
20 well. But it strikes me that it would be extremely
21 difficult to pre-file evidence based on, you know, what he
22 hadn't heard until yesterday and this morning.

23 MR. HOYT: If that's the case, thank you, Mr. Chairman.

24 MR. STEWART: And we are limited to that.

25 CHAIRMAN: So proceed?

1
2 MR. STEWART: Thank you.

3 Q.2 - Mr. Reed, if you would?

4 A. Yes. Mr. Charleson's opening statement contained a
5 few statements, which I feel compelled to comment on. The
6 first is that he refers to Enbridge's value proposition.
7 And specifically he stated that the value proposition the
8 company has is delivering target levels of savings to its
9 customers. If that is in fact the only mandate for this
10 company, then it implies an approach to ratemaking that's
11 very different than a traditional just and reasonable
12 standards for public utility rates.

13 I would contrast this value proposition to use his
14 phrase, to the mandate that most public utilities, most
15 gas distribution utilities have across North America. And
16 that is to provide safe, reliable and efficient service at
17 reasonable rates.

18 I think that is in fact the proper value proposition
19 or mandate for Enbridge in this case. And one that
20 implies an approach to ratemaking here that is very
21 different than simply charging whatever the market will
22 bear.

23 The second comment he made, and he made it a number of
24 times, both orally and in his written opening statement,
25 is that a delayed response to changing market conditions

1
2 for the LFO customer class would mean that costs are being
3 added to the deferral account unnecessarily. Now implicit
4 in that statement is a view that the LFO customers based
5 upon the current rates are in fact contributing to that
6 deferral account.

7 I believe that the evidence suggests that that is not
8 the case here. That in fact the LFO customers are already
9 paying a rate that is far above the fully allocated cost
10 of service, the fully cost-based charge that they should
11 be paying, and that in fact they are contributing today to
12 reducing the deferral account. Therefore, any increase
13 above and beyond that level is not going to in fact help -
14 - again offset the proper deferral approach with regard to
15 the LFO customers, but it is in fact going to create an
16 even greater cross subsidy between LFO customers and the
17 remaining customers on the system.

18 Finally, Mr. Charleson commented in his opening
19 statement that under the market-based methodology today,
20 market conditions would support a rate as high as \$5.75
21 per gigajoule, even though we don't have any support for
22 that statement. I think that that statement is a very
23 good indication of the fundamental flaw with the
24 methodology as it has been produced in this case. And
25 that is that the rate can produce -- the rate it produces

1
2 can essentially be anything that Enbridge wants it to be.

3 What we have now is a statement from Mr. Charleson,
4 that for the exact same service, LFO delivery service, a
5 just and reasonable rate could be \$5.75 per gigajoule and
6 it could also be 9 cents per gigajoule, because that is in
7 fact the rate they are proposing for Tier 3.

8 I would put to that based on my experience over the
9 last 30 years in public utility ratemaking that is simply
10 an absurd position that a just and reasonable rate for the
11 same exact service could be anywhere from 9 cents to 5.75
12 cents per gigajoule. Such a methodology can best be
13 described in my opinion as arbitrary, almost to the point
14 of being capricious.

15 As an expert in this field for the last 30 years, I
16 can only conclude that the methodology and the proposed
17 rates do not meet recognized standards for just and
18 reasonable rates and should not be approved by this Board.

19
20 That concludes my comments. Thank you.

21 MR. STEWART: The witness is available for examination by
22 the parties.

23 CHAIRMAN: Thank you, Mr. Stewart. Mr. Lawson, any
24 questions for this witness?

25 MR. LAWSON: Just one, Mr. Chairman. I won't bother moving

1
2 up if that's okay with everybody, because it is only one
3 question.

4 CROSS EXAMINATION BY MR. LAWSON:

5 Q.3 - But I would like to refer you to, if you have it before
6 you, I guess it is part of A-4, AWL's interrogatory number
7 9, EGNB's reply to it. You may be familiar with it.

8 In it the question was asked, and I am paraphrasing,
9 that if the methodology of calculation resulted in a \$20
10 per gigajoule rate for the LFO class, do they think that
11 is what should happen. And the answer they gave is yes.

12 What is your thought or comment with respect to that?

13 A. Again it is a demonstration that this methodology does
14 not have any bounds in terms of being just and reasonable.
15 Their view was that a \$20 per gigajoule rate could be
16 justified just as easily as a 9 cent rate. Again, it begs
17 the question, are there any standards by which we can
18 judge these rates to be just and reasonable. I would
19 conclude no, that under this methodology we have abandoned
20 the concept of just and reasonable rates rather than
21 complied with it.

22 MR. LAWSON: Thank you. No more questions.

23 CHAIRMAN: Thank you, Mr. Lawson. Mr. Hoyt or is it going
24 to be Mr. MacDougall? I see a bit of shift in the
25 position of the microphone.

1
2 MR. HOYT: Mr. MacDougall.

3 MR. MACDOUGALL: Good afternoon, Mr. Chair, Panel members.

4 Good afternoon, Mr. Reed.

5 WITNESS: Good afternoon, Mr. MacDougall.

6 CROSS EXAMINATION BY MR. MACDOUGALL:

7 Q.4 - I think, Mr. Reed, I would just like to ask a couple of
8 questions arising from your opening statement. As it is
9 fresh in my memory, we may as well deal with those. And
10 because I could only take the notes here, I will go from
11 memory and you can correct me if I am wrong.

12 I think you made a reference today, I think you said,
13 if EGNB's only mandate is the value proposition. Are
14 those the words you used?

15 A. Yes. That was part of the sentence.

16 Q.5 - Is there anything that Mr. Charleson said in his
17 evidence -- first, you were here the last couple of days,
18 correct?

19 A. I was.

20 Q.6 - Did at any time you hear Mr. Charleson say that that was
21 EGNB's only mandate?

22 A. That was the only one he referred to in the opening
23 statement.

24 Q.7 - Then you go on to say that the standard you are looking
25 at is safe, reliable, efficient service at reasonable

1
2 rates.

3 A. Yes.

4 Q.8 - Do you have any reason to believe that Enbridge does not
5 provide safe, reliable or efficient service?

6 A. Sage and reliable seems to be accomplished at this
7 point. Efficient is something that hasn't been tested.
8 There has been no test as to the efficiency of the cost
9 stream that has been incurred to date by Enbridge. So I
10 can't comment on that. I think it remains to be tested.

11 And reasonable rates, the final piece of that, I think
12 is -- you know from my evidence, I think quite clearly,
13 these rates are not reasonable.

14 Q.9 - Yes. But Mr. Charleson has put forward the position
15 that they are reasonable, correct?

16 A. Yes. And I am offering my position as a rate expert,
17 not as a company employee.

18 Q.10 - No, but you were commenting on Mr. Charleson's evidence
19 so I would just like you to comment. Do you not believe
20 that Mr. Charleson's evidence was that Enbridge is
21 providing safe, reliable and efficient rates at reasonable
22 rates? That is his evidence, correct?

23 A. I don't know that he ever spoke to efficiency. His
24 position as the company spokesman is that yes, it is safe,
25 reliable and reasonable.

1

2 Q.11 - Thank you. Now you talked about a fundamental flaw, I
3 believe, with the rate methodology. Correct?

4 A. Yes, I believe so.

5 Q.12 - Do you realize that the rate methodology being used in
6 this rate proceeding is essentially the same as the rate
7 methodology that has been used since Enbridge started
8 business here?

9 A. Yes, I believe the methodology, subject to changes in
10 things like the discount levels and so forth is
11 essentially the same approach. I think what we see here
12 is a fact pattern that demonstrates to us the inherent
13 flaw that is now apparent.

14 Q.13 - Okay. So is your view that it was always flawed, it
15 has just now become apparent?

16 A. Yes. I think it always had the potential to produce
17 flawed results and we now have seen under current market
18 conditions the apparency -- the transparency of that flaw.

19 Q.14 - In your opinion?

20 A. Yes.

21 Q.15 - So it is the methodology itself, in your view, that is
22 flawed?

23 A. Yes. Without the constraints. Again, I speak to this
24 in my prepared testimony. But without the constraints of
25 the cost-based floor and a cost-based ceiling, I think

1
2 this methodology has become flawed under current market
3 conditions.

4 Q.16 - And this methodology has never had a cost-based floor
5 or a cost-based ceiling applied to it previously by this
6 Board, correct?

7 A. That is my understanding, that is correct.

8 Q.17 - Thank you. Those are my only comments on your opening
9 remarks.

10 MR. MACDOUGALL: Now the two documents I think, Mr. Chair, I
11 will refer occasionally to some other documents but the
12 two primary ones I think would be useful for Mr. Reed and
13 for the Board Members to have in front of them would be
14 AWL-2, which is Mr. Reed's direct evidence and AWL-3,
15 which is the AWL IR responses.

16 Q.18 - Now Mr. Reed, if we could turn to your response to
17 question 10 on page 4 of your evidence, AWL-2?

18 A. Yes, I have that.

19 Q.19 - You say that there are four areas of Mr. Charleson's
20 testimony with which you disagree, correct?

21 A. Yes.

22 Q.20 - Okay. I would like to deal with each of those four
23 points but not necessarily in this order. So I would like
24 to start first with number 4. And here you say, Mr.
25 Charleson's proposed rate completely disregards the actual

1
2 cost of service for AWL. Correct?

3 A. Correct.

4 Q.21 - Now just to start and because you refer to Mr.
5 Charleson throughout here, you realize that this rate is
6 being proposed by Enbridge Gas New Brunswick, on whose
7 behalf Mr. Charleson is testifying as a company expert,
8 correct? Or company witness?

9 A. That is my understanding, yes.

10 Q.22 - Now are you aware that the form of derivation, I think
11 we might have talked about this just recently with respect
12 to your opening comments, the form of derivation of the
13 distribution rate that Mr. Charleson is putting forward in
14 his evidence is consistent with the development of rates
15 for the CLGS LFO class and in fact all of EGNB's general
16 rate classes since it started to do business in New
17 Brunswick?

18 A. Again, subject to a lot of judgement being layered
19 into that, such as the 21 days, such as the level of
20 discount, such as the timeframe that one looks at for the
21 historic data. Subject to all of those judgemental
22 elements being included, I think the methodology is
23 virtually the same.

24 Q.23 - Well I am going to get to some of the specifics, but
25 let me just stop you there. I asked you if it was

1
2 consistent with the way it has always been done and you
3 made a comment there subject to the 21 days. But the 21
4 days has always been used, correct?

5 A. Not those 21 days.

6 Q.24 - Okay. Well for each different rate case you couldn't
7 go back 7 years and pick 21 days, could you?

8 A. That's correct.

9 Q.25 - Okay. So the methodology has been consistently
10 applied, correct? The methodology?

11 A. Again, the discount level has changed across time, is
12 my recollection. And that is part of the methodology.
13 But I think that is correct that the current application
14 of that methodology, subject to those elements we talked
15 about, is consistent with the prior application of that
16 methodology.

17 Q.26 - So that is all I was getting at. I just want us to be
18 on the same page. And the approach Mr. Charleson is
19 taking is in fact the current Board approved market-based
20 rates approach, correct?

21 A. With the same caveats, yes.

22 Q.27 - Now what I would like to do is if I could hand to you
23 the Board's decision in its recent motion in this
24 proceeding of January 18, 2008.

25 MR. MACDOUGALL: Maybe, Mr. Chair, I will give Mr. Reed

1
2 these documents as I put them forward and Mr. Hoyt can
3 distribute them for the Board and everybody.

4 CHAIRMAN: If you are talking about the January 18th
5 decision of this year, I believe the Panel all has that.

6 MR. MACDOUGALL: Great. We can see if others in the room
7 have it?

8 CHAIRMAN: Sure.

9 MR. MACDOUGALL: No takers on that, Mr. Chair. Everyone had
10 it. That requires me to take more paper home, which is
11 unfortunate.

12 Q.28 - Now Mr. Reed, do you see the document in front of you?

13 A. Yes, I do.

14 Q.29 - As a decision of this Board January 18, 2008?

15 A. Yes.

16 Q.30 - Did you read this document before you prepared your
17 evidence?

18 A. Yes, I did.

19 Q.31 - Can we go to page 4 of this document? And you will see
20 in the last paragraph towards the end of the fifth line,
21 that the Board has indicated that it will therefore
22 proceed to set rates in this application using the market-
23 based method?

24 A. Yes, I see that statement.

25 Q.32 - So for the purposes of this proceeding, all parties

1
2 understood that the Board was going to set rates in this
3 application using the market-based method?

4 A. Yes, general terms, yes.

5 Q.33 - Not in general terms, that is what they said they would
6 do?

7 A. That is correct.

8 Q.34 - And that is the method that has been put forward by
9 EGNB in this proceeding, correct?

10 A. Yes and by me.

11 Q.35 - And by you, so you are saying you accept the
12 methodology?

13 A. Oh no.

14 Q.36 - You just said and by you?

15 A. Yes, the methodology as I have proposed it with some
16 modifications to assumptions to data patterns to elements
17 of what are called the judgemental elements of that
18 formula as consistent with the Board's mandate.

19 Q.37 - But the way EGNB has used it and this Board has
20 approved it is fundamentally flawed, but you think all
21 those fundamental flaws will be dealt with in the way you
22 propose?

23 A. I think they can be. As I said in my evidence, I
24 think we can live within a market-based rate methodology
25 the Board has constructed. We can make some changes in

1
2 judgemental elements of it in terms of the historic data
3 we use, in terms of the level of discount we use, and in
4 terms of adding an element of a floor and ceiling that
5 would vastly improve the methodology and make it
6 consistent with regulatory standards across North America.

7 Q.38 - Now if we could flip back in the decision to page 3.

8 And here we say that the Board said the deferral account
9 is necessary because of the use of market-based rates.

10 A. I'm sorry, where are you on page 3?

11 Q.39 - At the bottom paragraph.

12 A. Yes, I have that.

13 Q.40 - So it says the deferral account is necessary because of
14 the use of market-based rates -- market-based rates were
15 necessary to develop the natural gas system in New
16 Brunswick and the Board believes that they are an
17 essential element of the development period. All
18 customers have, and continue to benefit from the existence
19 of a natural gas system. It is important to remember that
20 the market-based method of setting rates is designed to
21 provide customers with savings when compared to an
22 alternative source of energy.

23 Do you see that?

24 A. I do.

25 Q.41 - And if we can go to page 4 of the decision. And in the

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

last paragraph in the fourth sentence, the Board says, the Board, based on the evidence is convinced that the development period has not yet ended, nor will it end in the near future. Correct?

A. Yes.

Q.42 - Now if we can go to page 8 of your evidence, again AWL-2. And if we can go to line 21. And here I think you have already mentioned this this afternoon. You say that you propose that the Board should immediately seek to determine a so-called cost-based floor and ceiling to the LFO rate. Correct?

A. Yes.

Q.43 - And you say in lines 23 and 25, many other regulatory boards in Canada and the US use market-based rates. Most often when the customers have alternate fuel capability or when competition conditions dictate that cost-based rates are likely to be uncompetitive. Correct?

A. Yes.

Q.44 - Now in New Brunswick, you do understand though that the market-based rates approach was put in place in order to develop the natural gas system during its greenfield development phase. Correct?

A. Yes, I do.

Q.45 - And in fact all of EGNB's general rates, not just the

2 CLGS LFO rate follow the same market-based rates
3 methodology. Correct?

4 A. In general terms, yes.

5 Q.46 - And then you go on to state on the same page, lines 25
6 to 30, that as part of these market-based regimes other
7 regulators have concluded that certain parameters are
8 necessary to ensure that the market-based rate is just and
9 reasonable. And then you list some of these on exhibit
10 JJR-2. Correct?

11 A. Yes.

12 Q.47 - Now if we could turn to AWL-3, your IR responses.
13 Particularly EGNB IR-23(a).

14 A. Give me just a moment. 23 (a). Yes.

15 Q.48 - 23. And here where you were asked if any of the so-
16 called market-based rates in exhibit JJR-2 were developed
17 by similar methodologies to that used in New Brunswick,
18 you stated that they are similar in that they consider the
19 cost of an alternate fuel?

20 A. Yes.

21 Q.49 - Correct?

22 A. That's the answer.

23 Q.50 - But none of these rates are similar in the methodology
24 that is used for their determination are they? Similar to
25 the methodology used here, not to each other?

1
2 A. Well beyond the similarity I note in my answer, I
3 would say they have different applications.

4 Q.51 - The methodology in order to develop that is not similar
5 to what is used here at all?

6 A. I would disagree in terms of not at all. They are
7 similar based upon the application of this competitive
8 standard being alternate fuels.

9 Q.52 - So for each of those jurisdictions do you know how they
10 specifically develop the rate they come up?

11 A. I would have to come go back to the tariff pages to
12 come up with their formulas.

13 Q.53 - And are the methodologies in those tariff pages though
14 at all familiar with the methodology that is used here --
15 at all similar with the methodology that is used here?

16 A. Similar only in that they based the competitive rate
17 off of alternate fuels. So I don't think they have tried
18 to include all of the judgmental elements that the
19 methodology here does.

20 Q.54 - And there are very specific rates in utilities broader
21 -- of rates, correct?

22 A. Yes.

23 Q.55 - So in those jurisdictions, we don't have an overall
24 market-based rates approach. These are just single
25 tariffs for a specific circumstance?

1
2 A. They are tariffs that are generally applicable,
3 meaning they are not specific contract rates applicable to
4 one customer. They are openly available tariffs. And
5 they are based upon circumstances in which the customers
6 have a competing fuel available to them.

7 Q.56 - Sure. But those tariffs, correct, those aren't the
8 general tariff that is used by the majority of customers
9 in those jurisdictions?

10 A. I would say if you talk in terms of customer account,
11 that is correct. More customers are on the residential
12 cost-based rate than on the dual fuel market-based rate.

13 Q.57 - Correct. So in those jurisdictions, all of the general
14 rates are not based on market-based rates. Some of them
15 are based on cost-based rates. You might have a market-
16 based rate. These are just -- you gave examples of single
17 rates and jurisdictions that have cost of service rates,
18 correct?

19 A. Those jurisdictions have both cost of service rates
20 and market-based rates. And most of the customers are on
21 cost-based rates.

22 Q.58 - Thank you. And some of the rates you showed are
23 interruptible rates, correct?

24 A. Yes, I believe so.

25 Q.59 - And one of them is a power generation transportation

1
2 rate

3 A. Yes.

4 Q.60 - Thank you. And from what I understand your testimony
5 is, you are saying that the rate ceiling that you are
6 proposing should be based on a fully allocated cost basis,
7 correct?

8 A. Yes.

9 Q.61 - But you do understand that in New Brunswick the
10 methodology is to allow customers to see a potential
11 savings against an alternative fuel, correct?

12 A. Could you give me that question again?

13 Q.62 - Sure. That in New Brunswick the methodology is set up
14 to allow customers to see a savings against an alternative
15 fuel?

16 A. That's part of the methodology, yes.

17 Q.63 - Yes.

18 A. And I think it would be -- it would benefit from
19 having the addition of a cost-based floor and ceiling
20 again to bring it in conformance with the standards across
21 the rest of North America.

22 Q.64 - But in fact it's been clear for the past number of
23 years that the rates in New Brunswick are not cost-based,
24 correct?

25 A. They are market-based, as are the rates I have spoken

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

to with cost-based floors and ceilings.

Q.65 - Now if we could just turn again to the January 18 decision.

MR. MACDOUGALL: And Mr. Chair, I apologize, I think maybe we should give that an exhibit number. I don't think that we did.

CHAIRMAN: I don't know that it is necessary. It's a decision of this Board. I don't think we --

MR. MACDOUGALL: Fine, Mr. Chair.

Q.66 - And if we could go to page 3, in the first full paragraph. It's underneath the paragraph in quotations. And here the Board found during the development period rates have been set using a market-based method. This method establishes rates that provide an incentive to convert to and continue to use natural gas. The rates are not based on costs. Correct?

A. That's what it says, yes.

Q.67 - Now, Mr. Reed, if we can go back to page 4 of your evidence?

A. I have that.

Q.68 - And now line 21. We are now going to deal with one of the other points you raised that you had concerns with. And if we go to the third point you raised, was a concern with Mr. Charleson's evidence was the use of fuel oil

1
2 prices as the only relevant measure in setting a market-
3 based distribution rate, correct?

4 A. Yes.

5 Q.69 - And in discussing this issue on page 7 at Q-17 of your
6 evidence, you explain here how AWL is in your view at a
7 competitive disadvantage as compared to other wallboard
8 manufacturers, correct?

9 A. Yes.

10 Q.70 - And if we could turn to your response to EGNB IR-12(c),
11 AWL 3?

12 A. 12(c), yes.

13 Q.71 - 12(c). You confirm that the comment we were just
14 discussing about AWL being at a competitive disadvantage,
15 you confirm that that comment was only with respect to
16 AWL's gas distribution rate, correct?

17 A. No, I don't believe I said that in that answer.

18 Q.72 - Okay. Well let me go through the answer then maybe,
19 because that's what we were trying to get at, and I might
20 have a series of further questions.

21 The question was is Mr. Reed familiar with the cost
22 structures of inputs into the overall production of
23 wallboard? If so, please provide support for expertise in
24 this area? Correct?

25 A. That was the question, yes.

1
2 Q.73 - And your answer was, Mr. Reed is not an expert in the
3 cost structures of inputs in the overall production of
4 wallboard, nor does he have to be in order to make the
5 statement at answer 16. His direct testimony was that
6 compared to other wallboard manufacturers AWL would be
7 competitively disadvantaged in terms of its gas
8 distribution rate, correct?

9 A. Correct.

10 Q.74 - I guess my question now then is your evidence that AWL
11 is competitively disadvantaged in any other ways, or is
12 your evidence about the gas distribution rate?

13 A. No, I would not say I have undertaken a competitive
14 cost analysis for the plant in other areas.

15 Q.75 - So your evidence is with respect -- your comment on
16 competitive disadvantage is solely in terms of the gas
17 distribution rate, correct?

18 A. I think that's fair, yes.

19 Q.76 - Okay. And when your client AWL signed up with EGNB, as
20 Mr. Power just recently said, they were fully aware of the
21 methodology used to determine the CLGS LFO rate in New
22 Brunswick, correct? The methodology?

23 A. I think Mr. Power's response to that was he was
24 familiar with the rate. I don't recall him saying he was
25 familiar with the methodology, but he may have.

1
2 Q.77 - But I guess I would ask you if this is a significant
3 part of their cost structure would you have thought Mr.
4 Power would have been familiar with the methodology of the
5 rate that they were getting into?

6 A. I would have to speculate on that. I don't know.

7 Q.78 - You don't have a view?

8 A. I do not.

9 Q.79 - Then if we could turn to your response to EGNB IR-
10 22(a)?

11 A. 22(a). Yes, I have that.

12 Q.80 - And here you confirm that you understand that EGNB's
13 application is for an increase to the rates for the CLGS
14 LFO class as a whole and not with respect to any one
15 specific customer in the class, correct?

16 A. Yes.

17 Q.81 - And if we could just flip back two responses to EGNB
18 IR-20? And here you indicated that you were not sure
19 whether AWL was the only CLGS LFO customer of EGNB that
20 does not have the ability to use light fuel oil, correct?

21 A. That is correct. I might add that I have more recent
22 information on that since that was submitted.

23 Q.82 - Sure. I was going to get to that, because of some of
24 the things Mr. Charleson said, but maybe you could you
25 tell me what your understanding is?

1
2 A. What I have in terms of additional evidence on that is
3 in the evidence of the Flakeboard witnesses in which
4 indicate that they do not have LFO substitutability for
5 some of their applications.

6 Q.83 - I am going to follow up on that in a second based the -
7 - my colleague is getting. But do you recall, you were
8 here yesterday, right?

9 A. Yes.

10 Q.84 - And do you recall -- I am just going to read from the
11 transcript. I am sorry, I don't have another copy of the
12 transcript, but I can certainly had it to you. It's only
13 one line. Mr. Charleson said again, the majority of our
14 customers do have oil as an alternate fuel. 13 out of the
15 20 customers have oil as an alternate fuel and that is why
16 oil is used as the comparative. Do you recall that
17 testimony?

18 A. Yes, generally.

19 Q.85 - So if 13 do have oil as an alternate fuel out of 20,
20 that would suggest that seven do not, correct?

21 A. That is correct.

22 Q.86 - Thank you. Could you turn to -- I don't know if you
23 will have that in your binder. Do you have Flakeboard's
24 reply to EGNB interrogatory number 1?

25 A. No, I am sorry I don't have that.

1
2 Q.87 - I can actually hand that to you. I need to get my
3 second copy now so that we can follow along. And you had
4 just made a comment about the fuel switching or dual fuel
5 capability at Flakeboard?

6 A. Yes.

7 Q.88 - And what was the comment that you made?

8 A. That they do not have LFO substitutability for some of
9 their applications.

10 Q.89 - And if we can read here what Flakeboard does say, and
11 maybe you could just read their response there into the
12 record?

13 A. The first paragraph?

14 Q.90 - Yes. EGNB IR-1, I think there is only one response.

15 A. It says, while Flakeboard does not believe this
16 evidence is relevant, it would advise that approximately
17 85 percent of its natural gas burning equipment is also
18 convertible to light fuel oil.

19 Q.91 - Thank you. Now if we could turn back to your evidence
20 and if we could go to answer 19 on page 8?

21 A. I have that.

22 Q.92 - And here you state in the third sentence at line 16,
23 you make the -- the opening part of the sentence says,
24 given all of the competitive factors that EGNB has not
25 considered. Do you see that?

1
2 A. Yes.

3 Q.93 - Okay. But as we just discussed in response to EGNB IR-
4 12(c) that we were talking about a minute ago, you
5 confirmed your evidence is only talking about the gas
6 distribution rate, correct?

7 A. Yes.

8 Q.94 - So you are not an expert in the cost structure of the
9 wallboard industry, correct?

10 A. That's correct.

11 Q.95 - So what did you mean by all of the competitive factors
12 that EGNB has not considered?

13 A. As I said first the competitive rates that are
14 available to other manufacturers for distribution service.
15 And I would add to that even competitive alternatives that
16 were available to both Flakeboard and AWL prior to them
17 becoming customers of Enbridge. And we have evidence in
18 this case from Dr. Gaske with regard to the cost
19 alternative that Flakeboard had wherein the service was
20 going to be in the range of today's dollars \$300,000 per
21 year for firm transportation service to that plant. We
22 have information from Mr. Power with regard to the very
23 small amount of facilities that would have been required
24 to interconnect the AWL facility to the Irving Paper
25 facility across the street.

1
2 There were competitive alternatives before these
3 customers joined the Enbridge system that would have been
4 far, far less expensive than even the current rates, let
5 alone the proposed rates in this case.

6 Q.96 - Let's follow up on those. I was going to get to some
7 of that with Dr. Gaske, but since you have raised it, you
8 have read his testimony obviously?

9 A. I have.

10 Q.97 - And you have just made some comments on it. Let's
11 start with the first point. First off you said one of the
12 factors was other manufacturers?

13 A. Yes.

14 Q.98 - So you are talking about manufacturers in other
15 jurisdictions?

16 A. Yes.

17 Q.99 - Okay. So not in New Brunswick? Because this is a
18 class rate for the LFO class, correct?

19 A. It is a class rate for LFO. But, yes, my evidence
20 goes to other jurisdictions as well.

21 Q.100 - And then you raised some evidence with Dr. Gaske had
22 put on or through either Dr. Gaske or Flakeboard of
23 possible other competitive alternatives at the time
24 Flakeboard was considering signing up with EGNB, correct?

25 A. Yes.

1
2 Q.101 - And Flakeboard ended up signing up with EGNB, correct?

3 A. Yes, they did.

4 Q.102 - And then you talked about some comments about Mr.

5 Power, issues he made about other alternatives, and Mr.

6 Power, AWL, they ended up signing up with EGNB, correct?

7 A. They did.

8 Q.103 - And you indicated that Mr. Power at least knew the

9 rates, although you are not sure if he knew the

10 methodology at the time?

11 A. That's correct.

12 Q.104 - Would you have any reason to believe that Flakeboard

13 didn't at least know the rates?

14 A. I don't know what they knew or didn't know.

15 Q.105 - Okay. That's fine. Let's turn now to your response

16 to EGNB IR-17(b)?

17 A. 17(b)?

18 Q.106 - 17(b), yes. B, as in Bob. And here where you were

19 asked what industries you were comparing the wallboard

20 manufacturing industry to in your evidence, when you

21 referred to it as being a very highly competitive

22 industry, you stated that you were comparing the wallboard

23 industry to itself, correct?

24 A. Yes.

25 Q.107 - I guess my question is though, but other industries

1
2 could easily characterized as very highly competitive,
3 correct?

4 A. Certainly.

5 Q.108 - So lots of industries compete aggressively with
6 competitors for market share, correct?

7 A. Yes.

8 Q.109 - And response to question (c), where you were asked
9 what makes an industry -- and here the question was what
10 makes it very highly competitive, which is what you said
11 in your testimony.

12 You then went on to say that a highly competitive
13 industry is one in which there are numerous firms
14 competing on a price basis for the same market area,
15 correct?

16 A. Yes.

17 Q.110 - But you never answered the question which asked -- was
18 trying to get, what makes an industry very highly
19 competitive, the terms you used. I am just wondering why
20 you were referring to the wallboard manufacturing industry
21 as being very highly competitive as opposed to any other
22 industry?

23 A. Sorry. Could I have that last question again? Just
24 the question?

25 Q.111 - Sure. Why you were referring to the wallboard

1
2 manufacturing industry as being very highly competitive as
3 opposed to any other industries? You added a qualifier to
4 the qualify.

5 A. I apologize in terms of the answer. I am perfectly
6 willing to accept answer (c) as the definition of a very
7 highly competitive industry as well. I describe it in my
8 testimony as very highly competitive based upon my review
9 with Mr. Powers and others at the company as to how their
10 products compete in the delivered markets.

11 Q.112 - But as we just talked about earlier, and I used the
12 same phrase in my last question, if you agreed that other
13 industries are easily characterized as very highly
14 competitive as well?

15 A. Certainly. Although the relevance of natural gas or
16 distribution service to that position is very different.

17 Q.113 - There is no other industries that use natural gas as a
18 large component of their production costs in the wallboard
19 industry?

20 A. No, I didn't say that. What we have here is a company
21 who has to compete with producers far beyond service
22 territory, far beyond New Brunswick, on a delivered cost
23 basis. And for whom natural gas and natural gas
24 distribution service are a significant cost component.

25 (In-camera)

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

Q.117 - So then if we could turn to EGNB IR-18?

A. Yes, I have that.

Q.118 - And here you were asked to please provide all assumptions data, details and calculations conducted by you that supported your comments referred to in your evidence that the proposed LFO rate increase has the effect of reducing the distance over which AWL can ship it's product and remain competitive by approximately 10 percent, right?

A. Yes.

Q.119 - And from my read of this, Mr. Reed, you didn't provide any detailed calculations, but rather you provided the one paragraph answer we see in EGNB IR-18. I just want to know is that the sum total of the analysis and calculations that you carried out to support this statement in your testimony?

1
2 A. Yes. And I would point out that this statement is
3 also made in Mr. Power's testimony. And my position here
4 is based largely on my discussions with him of the
5 relevant economics that are contained in this answer.

6 Q.120 - And that's great because I was going to get to the
7 next point. Because in fact we asked you, please indicate
8 which of this information was provided to Mr. Reed by AWL,
9 correct?

10 A. Yes.

11 Q.121 - And you didn't respond to that in the IR, correct?

12 A. I think that's probably fair. The answer should be
13 that all of it was supplied by AWL.

14 Q.122 - Thank you very much. And then you go on to say that
15 in order to absorb the extra local distribution costs, the
16 shipping budget will have to be reduced by 10 percent,
17 correct?

18 A. Yes.

19 Q.123 - And that's your understanding from Mr. Power?

20 A. Yes.

21 Q.124 - So this is an independent testimony? These were just
22 statements you were just making that you drew from Mr.
23 Power explaining that to you?

24 A. Yes. It's based upon my analysis from his
25 discussions. It's the kind of evidence that you would

1
2 typically have an expert rely on for this type of a
3 factual matter.

4 Q.125 - But you said it was -- you used his information for
5 your analysis. But I thought you just confirmed that the
6 analysis you did was set out in paragraph number 18?

7 A. That's correct. That's the sum and substance of my
8 analysis.

9 Q.126 - And that analysis was based solely on information from
10 Mr. Power?

11 A. Yes.

12 Q.127 - Thank you. So you wouldn't know then that if every
13 time there is a cost increase at AWL, whether that
14 immediately reduces AWL's shipping budget?

15 A. Independent of my discussions with Mr. Power?

16 Q.128 - No, including your discussions with Mr. Power?

17 A. The answer is I have provided it to you and the
18 response to interrogatory number 18 is the understanding I
19 have, that all other things remaining equal, this is where
20 the competitive effect is felt.

21 Q.129 - Sure. All other things remaining equal?

22 A. Yes.

23 Q.130 - Thank you. Are you privy to the internal rate of
24 return for AWL's facility?

25 A. No.

1

2 Q.131 - And this information has not been provided by AWL or
3 you in this proceeding, correct?

4 A. That's correct.

5 Q.132 - Now if we could turn to your response to EGNB IR-3(d).
6 Actually, this is Mr. Power's response. They all came
7 consecutively numbered so your answers are in the same
8 group.

9 A. 3(b)?

10 Q.133 - 3(d).

11 A. (d), okay. And here Mr. Power indicated that at the
12 time the business case was developed at the AWL facility,
13 the Canadian dollar equivalent was 0.85. And that the
14 model was readjusted in 2007 to a Canadian dollar
15 equivalent of 0.95. Correct?

16 A. Yes.

17 Q.134 - And I think Mr. Power said and maybe if you can
18 recall, that today that a large part of their market is
19 the export market?

20 A. Yes, that is correct.

21 Q.135 - And that the product sold into the US export market is
22 sold in US dollars?

23 A. That is my understanding, yes.

24 Q.136 - And are you aware from Mr. Power what impact this had
25 on AWL's shipping budget?

1
2 A. No, not directly. I am aware of the effect it had on
3 their competitiveness, which is it is yet another reason
4 that the delivered products are less competitive just as
5 they are resulting from the increase in gas costs or would
6 be.

7 Q.137 - Okay. Now if we could turn to EGNB IR-19.

8 A. Okay.

9 Q.138 - Okay. In here you state that the development of data
10 was not necessary in order for you to say in your words
11 the commonsense proposition that other plants with lower
12 local distribution rates would pose a competitive threat.

13 Correct?

14 A. That's correct.

15 Q.139 - And again, I am assuming that is again all other
16 factors being equal?

17 A. That is correct.

18 Q.140 - Now if we can turn back -- just we are still on the
19 same point here but I just want to refer back to another
20 IR response, EGNB IR-13.

21 And here we were asking some questions of you of some
22 distribution utilities in other eastern Canadian
23 jurisdictions. And if we could turn to page 2 of your
24 response which is page 8. And this is the chart that was
25 filed in response to IR number 13(c).

1
2 A. I have that.

3 Q.141 - And here you are showing Gaz Metro's rate, Union Gas,
4 Enbridge Gas, Heritage Gas, and EGNB's proposed rate at
5 the top. Correct?

6 A. That's correct.

7 Q.142 - Now here we see very different rates for the energy
8 component of the distribution charge. Correct?

9 A. That is correct.

10 Q.143 - For example, Gaz Metro rate that you show, right, is
11 10 times higher than that of Union Gas', correct?

12 A. Roughly, yes.

13 Q.144 - And Union Gas' is double that of Enbridge Gas
14 Distribution?

15 A. In Ontario.

16 Q.145 - Correct, in Ontario, yes. So here under your
17 analysis, Gaz Metro or let's say Union Gas would have a
18 ten-fold -- like if Wallboard plant was in that
19 jurisdiction, it would have a 10-fold advantage over
20 Wallboard plant in Quebec. Correct?

21 A. With regard to gas distribution, yes.

22 Q.146 - So that is the point you were making here about the
23 rates in New Brunswick?

24 A. Yes.

25 Q.147 - But as we can see here, there is significant,

1
2 significant deviation from different jurisdictions on what
3 their gas distribution rate is, the energy component.

4 Correct?

5 A. That is correct.

6 Q.148 - But in fact we can't even rely on that for gas
7 distribution, right, because in your footnotes you say
8 that all of the rates exclude customer and demand charges.

9 Correct?

10 A. That's correct.

11 Q.149 - And are you aware of the demand charges in some of
12 these jurisdictions compared to Enbridge's demand charge.

13 A. We did look at that. As I recall, the Heritage Gas
14 rate does have a higher demand charge in Nova Scotia.

15 Q.150 - Can I just stop you there because I am familiar -- it
16 is significantly higher, isn't it?

17 A. It is a multiple perhaps 3 or 4 times. The overall
18 delivered rate is still a tiny fraction of the EGNB
19 proposed rate.

20 Q.151 - But all of these rates are significantly -- you
21 decided to show this -- for example the Union Gas rate --
22 well I guess we would take maybe, you know, any of these
23 rates, they are all significantly different by 5, 10
24 times?

25 A. They are certainly different, yes.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

Q.152 - Thank you.

A. None of them approach the proposed rate here.

Q.153 - Well I guess if you were a Union Gas customer, or a Gaz Metro customer, Gaz Metro's rate is 10 times Union Gas.

A. Yes.

Q.154 - Thank you. And if your proposition is correct about the competitiveness deriving out of natural gas rates to distribution rates, would it be equally fair to say that a plant with lower capital costs, because it has a financing incentive, would compose a competitive threat to a plant in another jurisdiction that did not have that benefit, all other factors staying equal?

A. I think that is fair, all other things being equal, if they have a lower cost of capital or a lower capital expenditure level, it is going to be more competitive.

Q.155 - Thank you. Your proposition from your evidence, and just because I am struggling with it a bit, isn't that when setting local distribution rates for a class, that this Board should take into account the competitive position of all of the various different manufacturing facilities in that class with all of their various competitors' gas distribution charges in all of the other jurisdictions in which all of those competitors exist, is

1
2 it?

3 A. No, I think that is too narrow. What I am saying is
4 if we are going to adopt a methodology that we call a
5 market-based rate methodology, we need to understand that
6 the market and market forces go beyond simply the cost of
7 oil versus the cost of gas on a delivered basis. It
8 includes in fact the most relevant consideration would be
9 the cost of competing transportation alternatives. And we
10 have that information now on the record as to the fact
11 that competing transportation alternatives would have been
12 a tiny fraction of the \$2 million a year that Flakeboard
13 and AWL are being asked to pay under the proposed rates
14 here. Now if that is true, gas transportation
15 competition, apples to apples.

16 Beyond that I do think it is fair to consider the
17 effect on the competitive position of the customers here.
18 If in fact we are going to consider market forces, let us
19 consider market forces on a broad basis rather than simply
20 saying let's take the delivered cost of gas and the
21 delivered cost of oil and focus our consideration of
22 market forces exclusively on that. Under that approach
23 you could very easily lose all of the throughput from a
24 manufacturing facility simply because it is shut down
25 because it can't compete on delivered cost basis. Even

1
2 though your gas may be, when rolled together with the
3 commodity, may be cheaper than oil, that is not the end of
4 the story.

5 Q.156 - But gas distribution charges are one component of all
6 of the factors that make any manufacturing facility
7 competitive. Correct?

8 A. They are and again, it is the only component that is
9 being provided by EGNB and the only component that is
10 before this Board.

11 Q.157 - Correct.

12 A. My point exactly and we seek to then roll in gas
13 commodity costs and try to compare on an end use delivered
14 cost basis. We are really going beyond the bounds of what
15 many people would consider to be just and reasonable rates
16 for the utility for the service being provided.

17 Q.158 - But that methodology has been found just and
18 reasonable by this Board on quick math at least four
19 occasions?

20 A. I will accept that, subject to check, that it has been
21 four occasions. I think what we are saying is now that we
22 see the effects of that methodology, it is time to step
23 back and seek to add something to it which is the cost-
24 based floor and ceiling.

25 Q.159 - Okay. I want to just step back. I thought we had

1
2 dealt with this a few moments ago but you reraise now the
3 issue of competitive alternatives. But again, you did
4 confirm previously that with knowledge of whatever
5 competitive alternatives there may have been, and I am not
6 conceding that there were any at the time, both Flakeboard
7 and AWL signed on with EGNB understanding the methodology?
8 Correct? Or understanding the rates?

9 A. Understanding the rates at that time, yes.

10 Q.160 - And you are not a legal expert, are you? You are not
11 here with any legal qualifications, are you?

12 A. That is correct.

13 Q.161 - Now if we could go back to page 4 of your evidence,
14 AWL-2, and here this is your third point. Again, I think
15 I might be doing this exactly backwards. But it is number
16 2 on page 4, line 20.

17 A. Yes.

18 Q.162 - Was that you would suggest a target savings rate --
19 this is the other point that you had some disagreement
20 with here. You would suggest a target savings rate of 15
21 percent versus a target savings rate of 10 percent?
22 Correct?

23 A. That is correct.

24 Q.163 - Now before filing your evidence did you read the
25 Board's decision of December 15, 2005 which was the

1
2 decision dealing with the setting of the current CLGS LFO
3 rates?

4 A. Yes, I did.

5 Q.164 - Okay. And are you aware that the 10 percent savings
6 level was used in that decision?

7 A. It was referred to in that decision. The rates were
8 approved based on a 10 percent saving.

9 Q.165 - And those are the current rates?

10 A. Yes, they are.

11 Q.166 - And are you aware when AWL signed on for distribution
12 service with EGNB?

13 A. My recollection is it is 2006 but I could be wrong.

14 Q.167 - If I told you it was September 12, 2006, would you
15 take that subject to check?

16 A. Yes.

17 Q.168 - And that when they signed on that was for distribution
18 service after the December 15, 2005 decision setting the
19 current rates. Correct?

20 A. That is my understanding, yes.

21 Q.169 - And I believe Mr. Power confirmed today that he was
22 aware of the rate at that time?

23 A. That is correct.

24 Q.170 - Thank you. And that rate at that time was derived off
25 of a Board approved methodology that had a discount for

1
2 the LFO class of 10 percent? Correct?

3 A. Yes, at that time.

4 Q.171 - Now Mr. Reed, are you aware from what you have read in
5 the record and the testimony of the past few days, that
6 EGNB continues to have the 20 existing LFO customers who
7 are within reasonable proximity of a natural gas main on
8 their system?

9 A. I'm not quite sure what you mean by continues to have?

10 Q.172 - They haven't left?

11 A. That is my understanding, yes.

12 Q.173 - So there is no evidence that the change from 15
13 percent to 10 percent in the December 15, 2005 decision
14 caused anyone to migrate off of natural gas, in fact, the
15 opposite is true, correct?

16 A. I think I can confirm that there is no evidence that
17 it caused customers to shift off of natural gas. I'm not
18 sure what you mean by the opposite is true.

19 Q.174 - Well that is what I meant, they didn't shift off
20 natural gas.

21 A. Okay. I think we can agree that they did not shift
22 off natural gas.

23 Q.175 - And two customers joined since the rates that were set
24 using the 10 percent. Correct?

25 A. I was aware of one but it could be two.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

Q.176 - Let's look at -- I think I might have that in here. I will just get that IR pulled up and show it to you. Now, Mr. Reed, are you aware that to the extent that EGNB does not recover its cost of service in any year during the development period, those under recoveries go into a deferral account, which is maintained as a regulatory asset to be cleared in the future?

A. Yes.

Q.177 - Okay. Mr. Reed, maybe you can go to response Flakeboard IR-1, page 2 of 4. In fact, you may not have had that previously. I can give you that. And if you can just look in the column there for LFO in the top chart actual customers, you see that in 2006, there were 18. 2007, 20 customers?

A. I do.

Q.178 - Thank you. Sorry, for jumping back there for a moment. So we were talking about the deferral account. It's not to the long term advantage of the ratepayers of New Brunswick for the deferral account to be any larger than necessary it is?

A. Well that's a complicated question. It's certainly not to their advantage to have it be any larger than necessary. The question then becomes what is necessary?

Q.179 - Let's go back now again to page 4 of your evidence.

1
2 And I just want to deal with the last point that you had
3 raised. And this is point number one on page 4. And
4 here you say you take issue with the use of the 21 day
5 average of the closing settlement price for the WTI crude
6 oil prices from NYMEX, correct?

7 A. Yes.

8 Q.180 - And are you aware that the 21 day average has been
9 used as part of the methodology that has been in place for
10 setting of all of EGNB's general rates from the outset of
11 its business in 2000?

12 A. That's my understanding, yes.

13 Q.181 - And can you confirm that the 21 day trading average
14 that we are discussing here essentially refers to 21
15 trading days in a month? So we are talking about a one-
16 month period, not actually 21 days?

17 A. We are talking about a rolling one-month period, yes.

18 Q.182 - But it is one month, because takes out the Saturdays
19 and Sundays?

20 A. It's 21 trading days, yes.

21 Q.183 - Now, Mr. Reed, it appeared unclear to me from my
22 reading of your evidence whether your suggesting that a
23 longer period should be used only for the WTI oil prices
24 or for both the oil prices and the natural gas prices?

25 A. For both.

1
2 Q.184 - For both. And if we could turn to page 5 of your
3 evidence. Line 7 and 8. And here in regard -- you make a
4 comment that in regard to the November 1, 2007 date used
5 by EGNB in its evidence that the spread between oil prices
6 and gas prices was the highest it had ever been up to that
7 date, correct?

8 A. That's correct.

9 Q.185 - And are you aware that on the methodology that EGNB
10 has been following that they would have to apply to the
11 Board for a rate increase if they wish to increase their
12 rates?

13 A. That's correct.

14 Q.186 - And their stated intent is to try and increase rates
15 when appropriate because of the difference between the
16 spread in oil and prices so as to maintain as close as
17 possible the target savings level for the LFO class of 10
18 percent, correct?

19 A. That's my understanding of their objective.

20 Q.187 - And then if we could go to your response to EGNB IR-9
21 in AWL 3?

22 A. I have that.

23 Q.188 - And this is a response you provided, correct?

24 A. Yes.

25 Q.189 - And in fact the spread between oil and natural gas

1
2 prices has been higher for the entire period covered by
3 your response than the spread at the time it was chosen by
4 EGNB, correct?

5 A. I think for the purposes of this chart it does look
6 that way. By the end of this chart, which is February 6th
7 2008 -- I should not that they did request a response --
8 the interrogatory response is wrong, it's not 2007, it's
9 2008. It looks like it has just come back down to
10 essentially the same level.

11 Q.190 - But when people are making comment, I think you made
12 about picking a date and the date being high, in fact
13 EGNB's methodology suggests that they are seeing a trend,
14 they can apply for a rate increase. But the day they
15 picked it, from that date all the way until you responded
16 to this, price was higher on every single day, correct?

17 A. Yes. Oil prices certainly have been very volatile
18 during that period of time.

19 Q.191 - Volatile, but sustained high?

20 A. Sustained high, yes.

21 Q.192 - Thank you.

22 A. And the point, of course, is that's distinctly
23 different than the period before November 1st, which goes
24 to the instability of this methodology.

25 Q.193 - Well, we will argue how the methodology is supposed to

1
2 work. And EGNB is entitled if it appears appropriate in
3 EGNB's view to use a rate rider to reduce its rates to a
4 class, correct?

5 A. It's entitled to seek the Board's approval for that
6 rate rider.

7 Q.194 - Correct. The Board has to approve?

8 A. That's correct.

9 Q.195 - Now at line 15 on page 5 of your evidence. And here
10 you say a general rule is that the historic date interval
11 should cover a period at least as long as the forecast
12 period, correct?

13 A. That's correct.

14 Q.196 - If we could turn to your response EGNB IR-10(a)?

15 A. I have that.

16 Q.197 - And the question here, you were asked for support for
17 this statement, but the question asked for support for
18 this statement in the context of predicting forward
19 looking oil or natural gas prices for utility ratemaking,
20 correct?

21 A. That's the question, yes.

22 Q.198 - But the response you gave referred to two quotes from
23 two statistics textbooks, neither of which quote is
24 related with any specificity at all to forward looking oil
25 or natural gas prices for utility ratemaking, correct?

1
2 A. I think that's correct. They are not related
3 specifically to that. They are related generally to that.

4 Q.199 - Well let's talk about that. In this first quote, and
5 I won't read the whole quote, I think there is some
6 underlining here. My understanding is it is from a Penn
7 State statistics textbook. And it simply says from what I
8 can read here that the sample must be representative of
9 the population?

10 A. That's correct.

11 Q.200 - That's just a general statistical comment, correct?

12 A. I would say so, yes.

13 Q.201 - And then the next text is the Plane and Opperman text.
14 And this refers again I think the conclusion is that short
15 term trends can cause deviations from long term patterns,
16 correct?

17 A. That's correct.

18 Q.202 - Thank you. Now would it be your view that in
19 determining whether or not to use the rate rider, EGNB
20 should look at periods longer than the 21 day average when
21 it is determining from time to time whether to lower
22 rates?

23 A. I guess that would require an understanding of the
24 rate rider that goes beyond my understanding. I am not
25 sure if rate riders have an defined duration to them. I

1
2 mean they are in effect until change during an effect for
3 a specific period of time.

4 If EGNB is attempting to respond to market conditions
5 over a short period of time, let's say the next month,
6 then I would think it would focus on the best estimate of
7 what's going to happen in the next month with regard to
8 oil prices or competing fuel prices to make that
9 determination.

10 As I recall it can revoke or rescind the rate rider
11 after some period of time. I don't recall if that
12 requires Board approval as well, but it would -- it should
13 focus on their market conditions for the period in which
14 it is going to have that rate rider remain in effect.

15 Q.203 - But, of course, if there is a sustained change and
16 they use the rate rider, the rate rider could remain into
17 effect for some considerable period of time, correct?

18 A. It could.

19 Q.204 - And is it your view that if they are unsure, because
20 they are executing the rate rider, that it should be for
21 the longer periods of time that you are suggesting also be
22 used in the methodology?

23 A. If they intend to have the rate rider remain in effect
24 for a longer period of time, yes, I think that would be
25 appropriate.

1
2 Q.205 - And I think you said in your response there that you
3 understood that EGNB's position was that it tries to react
4 to the market up and down?

5 A. Generally, yes.

6 Q.206 - But reacting upwards, it can only reduce its rate
7 rider or release rate riders up to the maximum price that
8 the Board has approved, correct?

9 A. That's correct.

10 Q.207 - And what's your understanding of how retail oil prices
11 are set in New Brunswick?

12 A. Are you talking about the ceiling prices established
13 by the Board? Is that the question?

14 Q.208 - Yes. Well let's just talk first generally. Retail
15 oil prices generally. Do they move daily basis?

16 A. Yes, I would think so.

17 Q.209 - So if you are trying to stay connected with oil
18 prices, do you have to have some level of flexibility?

19 A. I am sorry. If you are trying to stay connected?

20 Q.210 - Well, if you are trying to create a relationship
21 associated with oil prices, does one have to have some
22 measure of flexibility available?

23 A. I would think so, yes.

24 Q.211 - Thank you.

25 CHAIRMAN: Mr. MacDougall, would this be an appropriate time

1
2 for a break?

3 MR. MACDOUGALL: Mr. Chair, in about two minutes would be an
4 appropriate time to be over, so maybe we can --

5 CHAIRMAN: Well let's continue then.

6 Q.212 - Mr. Reed, in response to EGNB IR-8(b), you stated at
7 the end of your response that a rate rider was most
8 recently applied to the LFO rate at the time of the last
9 increase, but then you go on to say offset rate shock, is
10 that correct?

11 A. That's correct.

12 Q.213 - What evidence do you have that the reason the rider
13 was used was to offset rate shock?

14 A. That was based upon discussions with counsel. And to
15 be honest I don't know that we have a document to support
16 that.

17 Q.214 - Okay. Do you understand though from your
18 understanding of the rider, that's not how the rider
19 supposed to be used, it's not for rate shock, right?

20 A. I think the purpose of the rider is to respond to
21 competitive conditions.

22 Q.215 - Correct. So there is no evidence whatsoever that the
23 rider was ever used for purposes or rate shock, correct?

24 A. I am not aware of what the evidence is. As I said
25 that statement is based upon discussions with counsel.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

Q.216 - Maybe I can give you a copy of the document. And this the Board's decision of December 15, 2005.

A. Okay.

MR. MACDOUGALL: Mr. Chairman, I am not sure whether the Board has that decision. I do have copies.

CHAIRMAN: We do not. What is the date of the decision?

MR. MACDOUGALL: December 15th 2005, Mr. Chair.

Q.217 - And if we could go to the final page of that decision, Mr. Reed, which is page 12?

A. I have that page.

Q.218 - And in the second full paragraph of this decision, it says the Board recognizes that EGNB must base its decision to implement a rate rider on achieving the proper balance between providing an incentive to its customers and maximizing revenues. EGNB had not previously implemented a rate rider. It is believed that the filing requirements that will be developed for EGNB will allow the Board to monitor the market more effectively, including the value of rate riders. Do you see that?

A. Yes.

Q.219 - And you see that the Board recognized what the use of a rate rider was for, correct? The first sentence?

A. Yes.

Q.220 - And your understanding as you said before that the

1
2 Board has to approve a rate rider, correct?

3 A. That's correct.

4 Q.221 - Thank you.

5 MR. MACDOUGALL: Thank you, Mr. Reed. Those are all my
6 questions. Thank you, Mr. Chair, Board Members.

7 CHAIRMAN: Thank you, Mr. MacDougall. So we will take a
8 break and then Ms. Desmond, we will have your questions.
9 About a 15 minute break.

10 (Recess - 2:50 p.m. to 3:15 p.m.)

11 CHAIRMAN: Yes, Mr. Hoyt.

12 MR. HOYT: Just a couple of preliminary matters. Just
13 before lunch, EGNB gave an undertaking number 3. And I
14 have that information. The request as I understood it was
15 to provide the number 2 distillate at New York Harbour
16 price that appears in Board interrogatory number 4 to
17 EGNB. And that price is 16.9014 U.S. dollars per mmbtu.

18 MR. YOUNG: 16 point?

19 MR. HOYT: 16.9014. And then Mr. MacDougall has an item
20 that he wanted to address. Thank you.

21 CHAIRMAN: Mr. MacDougall?

22 MR. MACDOUGALL: Yes, Mr. Chair, Board Members. A small mea
23 culpa. I released inadvertently a piece of confidential
24 information in my cross examination. It was not in my
25 notes, but it came up in the interchange between me and

1
2 Mr. Reed.

3 I would request -- and I have talked to the party with
4 whom whose confidential information it is that I referred
5 to that that information be noted as confidential in the
6 transcript so that there not be a public record of that
7 piece of information. I don't want to describe it here by
8 therefore compounding the problem. But so that all
9 parties know there will be one very small piece of the
10 record removed that was one small exchange around a piece
11 of confidential information and the counterparty solicitor
12 has agreed with that, as I believe has Ms. Desmond.

13 CHAIRMAN: And Mr. Lawson, is that satisfactory to you?

14 MR. LAWSON: It certainly is to me, Mr. Chairman. I would
15 think that probably covers off everybody. So you are
16 suggesting that the exchange that deals with the
17 confidential information be transcribed as a confidential
18 portion of the transcript, is that essentially what you
19 are asking?

20 MR. MACDOUGALL: Correct, Mr. Chair. So that there is no --
21 only the parties that have signed the confidentiality
22 agreement would have access to it and it would be on the
23 public record if other people seek in the future to read
24 the transcript in this proceeding.

25 CHAIRMAN: And have you got a process in place so that you

1
2 can make sure that the court reporter is familiar with
3 what the exchange is?

4 MR. MACDOUGALL: My understanding is that the court reporter
5 will send me and the other counsel the transcript. We
6 will agree on the piece that will be made confidential and
7 we will advise her of that.

8 CHAIRMAN: And then the revised transcript will then be sent
9 out?

10 MR. MACDOUGALL: To all parties and the confidential
11 transcript presumably given to the Board. And if those
12 parties sign the confidential undertaking required, they
13 could seek that.

14 CHAIRMAN: That seems to be a satisfactory way to deal with
15 that.

16 MR. MACDOUGALL: I apologize very much to the Board and to
17 counsel and the opposing party for that inadvertence.

18 CHAIRMAN: Ms. Desmond, are you ready for cross examination?

19 MS. DESMOND: Thank you, Mr. Chair.

20 CROSS EXAMINATION BY MS. DESMOND:

21 Q.222 - Mr. Reed, we have just a couple of questions this
22 afternoon. The first question, if you could refer to your
23 evidence at page 8?

24 A. Yes.

25 Q.223 - And line 21, starting at line 21. And Mr. Reed you

1
2 talk about setting floor and ceiling rates for this
3 particular class. And could you kindly expand on what
4 that would mean, what that proposal would look like?

5 A. Yes. It says that the actual rate charge would still
6 be set on a market-based parameter, just as it is now.
7 And the process with the rate riders could remain in
8 effect just as it is now. But there would be a floor and
9 a ceiling. In other jurisdictions, the floor is based
10 upon variable costs. So you do a fully allocated cost of
11 service study for this customer class, and you determine
12 the mix between fixed costs and variable costs. And the
13 variable costs component of the cost of service is what is
14 the price floor.

15 The ceiling is the fully allocated cost. And it
16 essentially becomes a maxed rate. Other jurisdictions
17 have used that approach because they felt that customers
18 in a franchise utility service territory should have
19 access to what's called a recourse rate, which is the
20 maximum cost-based rate. And then the market would set
21 the price within the ceiling and floor. But that's
22 basically how you would approach -- you do have fully
23 allocated cost of service study. And you would then
24 segregate into fixed and variable costs, and that would
25 determine your floor and ceiling.

1
2 Q.224 - And within the floor and ceiling, would the
3 relationship between natural gas and oil still track each
4 other? Would that approach still be used?

5 A. Yes. You would still use the approach to establish
6 the rate between that floor and ceiling. And that's
7 consistent with how other jurisdictions have done it. You
8 want to be responsive to market conditions so you don't
9 lose the throughput. That's what everyone should start
10 with trying to do is maximize throughput on the system.
11 But you say there is a limit to how high that rate is
12 going to go or how low that rate is going to go based upon
13 costs.

14 Q.225 - When you talk about other jurisdictions that have done
15 this, were those jurisdictions in a greenfield situation?

16 A. At least partially. If you look, for example, at the
17 FERC order, which is in the data request, interrogatory
18 responses, it is most often done when you are trying to
19 build to a new customer. That new customer is essentially
20 a greenfield situation. You are trying to get service to
21 a new industrial, a new power plant, something like that,
22 especially where alternate fuel is the competition.

23 So the entire facility, the entire LDC is not
24 greenfield, or the entire pipeline is not greenfield. But
25 you are seeking to build service to a new end user or a

1
2 group of new end users.

3 I remember one case in New York where it was to an
4 entire four or five county area where that rate approach
5 was derived and was used. So I would say partial
6 greenfield is the best description of that.

7 Q.226 - Have you seen it used in situations where it was
8 applied to simply one rate class, as opposed to the entire
9 range of rate classes?

10 A. Yes. There are lots of examples where utilities have
11 cost-based rates for most of their customers. And then
12 market-based rates within a band width for customers who
13 have a different form of competition.

14 Again, the objective is to maintain throughout at all
15 times to make sure you get as much throughput on the gas
16 distribution system as possible and respond to
17 competition. But at the same time provide a degree of
18 protection to the customer, because they are a captive
19 customer. And the only -- they are within an LDC service
20 territory, the transportation alternative to them is the
21 LDC.

22 Q.227 - Now as you might be aware, EGNB has not in the past
23 done a cost allocation study. How could the Board apply
24 your proposal to this particular application or to this
25 rate increase?

1
2 A. That's addressed in the last paragraph of my prepared
3 evidence where I believe that they could adopt an increase
4 here that is substantially below their requested level. I
5 have proposed 31 to 39 percent on an interim basis only.
6 And as part of that order at the same time direct that a
7 cost of service study be done for this class and submitted
8 to the Board for further review.

9 At that time I think we could then look to establish a
10 cost-based floor and ceiling as an adjunct to the existing
11 market-based methodology.

12 Q.228 - The second area that I wanted to speak to you about is
13 with respect to the fuel price setting. And I believe you
14 have addressed that on page 5 of your evidence.

15 A. Yes, I have that.

16 Q.229 - And you provided a range of other timeframes that
17 could be considered when looking at the data to determine
18 the cost of an alternative fuel. Are there any
19 disadvantages to using a longer timeframe?

20 A. I think the only disadvantage would be if you set a
21 rate that is going to be below the rate that would
22 maximize contributions from that customer class. And I
23 know that that is EGNB's concern. But you know, I have to
24 say I would almost characterize their approach as being
25 one of let's set the rate as high as possible and then

1 trust us to respond with rate riders as necessary.

2 I don't think that is appropriate in a regulated
3 environment. I would say that in this case, given that we
4 have a lot of competitive circumstances that need to be
5 considered, the competitiveness of the plant, the
6 competitiveness of the transportation to other
7 transportation alternatives that existed, that the 365 day
8 average would be appropriate.

9 It is my understanding that with this Board's
10 experience in the oil markets, you typically look at
11 weekly price movements to determine prices for the
12 following week -- do a ceiling price for the following
13 week, so that is very similar. You are using a period of
14 history that matches up against the forward look that you
15 are trying to establish in the oil market.

16 Here realistically we are setting a rate -- we should
17 assume we are setting a rate -- a max rate, a ceiling
18 rate, for at least a year and probably longer.

19 Q.230 - How do you address the concerns that EGNB has raised
20 about being responsive to the market, being able to react,
21 you know, in a timely fashion?

22 A. Well again, if we take a longer term perspective on
23 oil and gas spreads, we are in a period right now that is
24 unprecedented in the degree of spread that exists. There
25

1
2 is a larger spread now than there has been at any time in
3 the past decade. In fact, I think the last 20 years.

4 If in fact we see things get even worse, EGNB can
5 always come back with another application to increase the
6 maximum rate.

7 I don't think it is appropriate to set that max rate
8 higher than otherwise would be justified on the grounds
9 that we can always come back and reduce it through rate
10 riders. I mean, that is discretionary and there really is
11 no opportunity for the end user to come back in and say I
12 deserve a rate rider because my throughput is priced
13 against a natural gas contract that is different than the
14 assumption here.

15 So it is that function essentially of let's set the
16 rate high -- as high as we can and then we will correct it
17 through rate riders that has an element of trust me that I
18 really don't think belongs in rate making.

19 Q.231 - Mr. Reed, I believe you provided to the Board sort of
20 a range of options in terms of what you think is a more
21 appropriate rate increase. What is your opinion in terms
22 of what is the most appropriate?

23 A. That is really presented on answer 14 on page 6 of my
24 direct evidence where I show increases for 365 days, 90
25 days and 60 days based upon a discount of 15 percent that

1
2 suggests that the result would be 31 percent to 39
3 percent.

4 Now I should say that this is based upon no change in
5 the approach that EGNB used for oil prices other than
6 changing the timeframe. Based on the information we just
7 heard it would appear that the New York Harbour price is
8 some 70 cents lower than the derived number 2 price in
9 their calculation. That would indicate that the
10 transportation rate should even be lower than the 31 to 39
11 percent increase that I have spoken to here.

12 So I would want to take that new piece of information
13 into consideration as well but generally I think that
14 range adjusted for now the lower number 2 price as in the
15 information we just got would be appropriate.

16 Q.232 - But your range of 31 to 39 percent is based on a
17 number of different time periods, 365 days, 90 days or 60
18 days. And I just wondering if you were to indicate to
19 the Board which of those numbers is the most appropriate?

20 A. I would use the 365 day figure as the single best
21 figure. I think that is most representative of the
22 conditions coming up for the next year or more.

23 MS. DESMOND: Those are all of our questions. Thank you.

24 CHAIRMAN: Thank you, Ms. Desmond. Any questions from the
25 Board? Mr. Johnston?

1
2 BY VICE CHAIRMAN:

3 Q.233 - Mr. Reed, if we take the proposal that you put forward
4 to have market-based rates with the cost ceiling and we
5 apply that across the entire series of rate categories,
6 what would you see happening to the deferral account?

7 A. That's a good question. And I do have a specific
8 proposal on that. The deferral account in my opinion very
9 clearly should be established on a class by class basis,
10 with a fully allocated cost of service study, you will now
11 have what the cost-based rate would be for GS customers,
12 commercial, residential, all the different
13 classifications. You will also have the actual revenues
14 derived from that classification and the differential can
15 be tracked on a class by class basis.

16 I think what you would find -- in fact I am almost
17 certain what you would find is that there are very
18 distinctly different levels of contribution to the
19 deferral account across customer classes.

20 It is my belief that a proper study would show that
21 some classes are actually paying more than cost currently,
22 some are paying less, some are paying far less. And I
23 think that deferral account then should have some accounts
24 established by customer class to better assign the
25 responsibility for recovery of the deferral when that

cross over point is reached.

Q.234 - But would the cross over point ever be reached if you had market-based rates with a cost ceiling in every class?

A. Typically the way that would be done is that the cost-based ceiling would be ex-amortization of the deferral account. It would exclude amortization of the deferral account. And whatever the appropriate amortization of that deferral account is would be in addition to the otherwise applicable cost-based ceiling.

So that if -- let's pick a number. Let's say the cost-based ceiling is \$2 per gigajoule, but you determine that an amortization of the existing deferral account over the next 10 years is appropriate, that would be in addition to that cost-based ceiling.

Q.235 - So and what you talked about the fully allocated cost of service study that would include a component where we were allocating the existing deferral account as well?

A. No, I would do the study without the deferral account and then I would separately have essentially a surcharge for amortization of the deferral account.

Q.236 - So the two studies would go on simultaneously though?

A. Yes.

Q.237 - And they would both be used for setting rate?

A. Yes. You need to have an understanding of cost

responsibility for the creation of the deferral account in order to address how it should be amortized and to whom.

Q.238 - Now one comment that caught my eye was on page 4 of your report, your response to question 10?

A. Yes.

Q.239 - The last sentence you say that the proposed rate completely disregards the actual cost of service for AWL. And I was unclear on this point during your testimony. Do you believe that there should be a specific rate for AWL, as opposed to the other members of the class?

A. That's a fair question. Based on the information that I have seen so far, I think that most experts in rate regulation would probably not support having Flakeboard and AWL in the same customer class as the other LFO customers.

We would conduct what is called a bill frequency analysis that looks at the consumption levels of this customer versus all the other customers in the class and their load factor, as well as their -- so it's the ratio of average use to peak use and their aggregate use.

Those types of studies are useful in determining where you draw the boundaries for a customer class. That's an important element of a cost of service study. Based on everything I have seen so far, it's highly likely that the

1
2 most appropriate approach would be to have an extra large
3 customer class, if you will, separate and apart from the
4 general LFO class, because it looks like there are very
5 different consumption levels and consumption patterns for
6 these two extra or ultra large customers. But that is
7 something that would need to be looked at as part of the
8 study.

9 The standards established elsewhere are, you know, are
10 the customers similarly situated? Do they have similar
11 usage characteristics and similar cost characteristics?
12 And if they do not, they should be in a separate class.
13 But that is something I would want to look at as part of
14 the study.

15 Q.240 - Now in response to some questions from Board Counsel,
16 you talked about some partial greenfield situations. Are
17 you aware of any utilities similar to EGNB where the
18 entire operation is a greenfield operation?

19 A. Well certainly Heritage, just north -- in Nova Scotia.
20 That's a very good example. There are a couple in Florida
21 as well, where natural gas distribution service has just
22 been made available to entire community. Typically as a
23 result of new pipelines coming into that part of the
24 state. So there are some isolated ones. Those are really
25 the best examples I can think of right now.

1
2 Q.241 - The reason I raise that is because you talked a number
3 of times about the regulatory standards across North
4 America, and I guess the point that raised for me was to
5 what extent where in a similar situation or a parallel
6 situation with other jurisdictions across North America
7 where those standards might apply?

8 A. That's a fair question. And I think the answer is
9 whenever you are talking about adding a new complex, a new
10 county, or an entire new service territory, the rules in
11 that partial greenfield area are very comparable to what
12 we are talking about here.

13 In fact some of the counties that were added to New
14 York State Electric and Gas service territory are
15 essentially the same in population as New Brunswick is.
16 So we did see market-based rates there and we did see
17 deferrals. We also what was called levelization, where
18 they did a long term projection of rates and levelized
19 those rates over a five or 10 year period as opposed to
20 the traditional decline in costs that would be applicable
21 under traditional ratemaking. You know, there are a lot
22 of approaches that can be looked at within the construct
23 of cost-based ratemaking to try and deal with new
24 customers in a new service territory.

25 So I think when you have the opportunity to get into

1
2 variations on cost-based ratemaking and how to approach
3 that within a greenfield structure, you will find that
4 there are some good examples to look to. And that can be
5 done in the construct of cost-based parameters that also
6 reflect market forces inbetween those parameters.

7 VICE CHAIRMAN: Thank you very much, those are my questions.

8 CHAIRMAN: I guess those are all the questions from the
9 Board. Any redirect?

10 MR. STEWART: Just briefly.

11 REDIRECT EXAMINATION BY MR. STEWART:

12 Q.242 - Mr. Reed, in his questions to you, Mr. MacDougall
13 referred you the decision of the Board in their last LFO
14 rate case, December 15th 2005. Do you have that with you?

15 A. I do.

16 Q.243 - Mr. MacDougall referred you to page 12, the last page
17 of that decision?

18 A. He did.

19 Q.244 - And did you note the last sentence of the first
20 paragraph of page 12? And could you read that for me,
21 please?

22 A. The last sentence on that paragraph says EGNB did
23 state during final argument that it intended to file a
24 rate rider to reduce distribution rates after the
25 proceeding.

1
2 Q.245 - Thank you. And I believe Mr. MacDougall asked you
3 about 20 LFO customers and whether any of them had
4 migrated away. Do you recall Mr. Butler's testimony
5 earlier this morning where he talked about one of the LFO
6 customers had I think shut down their business and they
7 just had a minor heat load and on their anniversary they
8 were going to cease to be an LFO customer?

9 A. Yes, I recall that testimony.

10 Q.246 - So it would be down to -- in fact then there is one
11 LFO customer who has gone out of business and just heating
12 the plant now?

13 A. Yes, in terms of the process load it has disappeared
14 apparently because of the plant being shut down.

15 MR. STEWART: Those are my questions.

16 CHAIRMAN: And does that conclude the evidence that you will
17 be calling at this hearing?

18 MR. STEWART: It does conclude the case of Atlantic
19 Wallboard.

20 CHAIRMAN: Thank you. Mr. Lawson, we are pretty much at the
21 end of the day.

22 MR. LAWSON: If we do have -- we were intending to call our
23 witnesses out of order to try to accommodate our expert
24 from out of town in hopes that the Board might be willing
25 to sit a little longer. I have asked Mr. MacDougall what

1
2 he might expect by way of time frame with him and it would
3 be something close to three-quarters of an hour. So I
4 guess the call is the Board. Needless to say, I will only
5 be two minutes with him.

6 CHAIRMAN: I think that we -- we would certainly be willing
7 to embark on that if you will. The difficulty is it's a
8 bit of a nasty day and we if at all possible don't want to
9 see anybody have to drive home in this weather after dark.
10

11 I am not sure -- Mr. MacDougall, do you feel that your
12 cross examination would be concluded within that time
13 frame? I know it's always difficult. As soon as you
14 estimate it, things change in the course of cross
15 examination I know.

16 MR. MACDOUGALL: All I can say, Mr. Chairman, I have less
17 questions for Dr. Gaske than I did for Mr. Reed. So if
18 Dr. Gaske answered with the speed of Mr. Reed, I will be
19 shorter than that time period. I think 45 minutes to an
20 hour. But I do take your point about -- we will
21 accommodate, I understand your other issues.

22 MR. LAWSON: Perhaps in fairness to the Board and the other
23 parties, Dr. Gaske will just have to stay over. It may be
24 that Air Canada will provide that gift to him anyway. So
25 as a result, perhaps if the Board is inclined we should

1
2 wait till the morning and add the certainty.

3 CHAIRMAN: Would it be helpful if we started earlier in the
4 morning to Dr. Gaske in terms of getting an earlier
5 flight?

6 MR. LAWSON: We don't know the alternate flights, but I
7 suspect it would be.

8 DR. GASKE: I can arrange something later in the day, so that
9 there won't be a problem, unless I take all day.

10 CHAIRMAN: Well, I mean I am certainly prepared to start,
11 but it strikes me that we are not going to finish it
12 today. I guess we would have to -- Ms. Desmond, do you
13 have some cross examination for Dr. Gaske as well?

14 MS. DESMOND: We have very little at this stage, Mr. Chair.

15 CHAIRMAN: Well, I think all things considered, perhaps we
16 would be best to set it over until the morning. And I
17 will ask you, Mr. Lawson, do you think it would be useful
18 to start early, would that be --

19 MR. LAWSON: If the parties don't mind, I think it would be
20 helpful, if we started perhaps at 9:00 o'clock instead of
21 9:30, if the Board is amenable to that?

22 CHAIRMAN: Well again -- and I guess maybe I will put the
23 question the Applicant. I don't know if they are
24 travelling back and forth from Fredericton or whether they
25 are staying here?

1 MR. MACDOUGALL: We will accommodate. 9:00 o'clock.

2 CHAIRMAN: All right. We will adjourn to 9:00 a.m. tomorrow
morning.

3 MR. LAWSON: Thank you.

(Adjourned)

4
5
6 Certified to be a true transcript of the
proceedings of this hearing, as
7 recorded by me, to the best of my
ability.

8 
9 Reporter

10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25